

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Thursday, March 30, 2017

1 PARTICIPANTS:

2 JOHN ADAMS
Electric Reliability Council of Texas

3 JAN AHLEN
4 U.S. Department of Energy

5 WILLIAM BALL
Southern Company

6 CARLOS BATLLE
7 MIT Energy Initiative

8 RAKESH BATRA
9 U.S. Department of Energy

10 ANJAN BOSE
Washington State University

11 JOSEPH BRANNAN
12 North Carolina Electric Membership Cooperation

13 LANEY BROWN
Modern Grid Partners

14 MERWIN BROWN
15 California Institute for Energy & Environment

16 PAULA CARMODY
17 Maryland Office of People's Counsel

18 PAUL CENTOLELLA
Paul Centolella & Associates, LLC

19 JESSICA COCKRELL
20 U.S. Department of Energy

21 PHYLLIS CURRIE
Pasadena Water & Power

22

1 PARTICIPANTS (CONT'D):

2 TOM EWING
Charged EV3
4 GORDON FELLER
CISCO5 STEVE GRIFFITH
NEMA6
7 CLARK GELLINGS
Independent8 MARYANNE HATCH
EEI9
10 HONORABLE PATRICIA HOFFMAN
U.S. Department of Energy11
12 JOYCE KIM
U.S. Department of Energy13 KIRAN KUMARASWAMY
AES14
15 CHERYL LAFLEUR
FERC16 JIM LAZAR
Regulatory Assistance Project17
18 JANICE LIN
Strategen Consorting19 KEVIN LYNN
U.S. Department of Energy20
21 MARINA MATESKI
Mitsubishi Electric

22

1 PARTICIPANTS (CONT'D):

2 DAVID MEYER
U.S. Department of Energy

3 ELLIOTT NETHERCUTT
4 U.S. Department of Energy

5 ROLF NORDSTROM
Great Plains Institute

6 PAUL ROBERTI
7 Ernst & Young

8 MATT ROSENBAUM
U.S. Department of Energy

9 HEATHER SANDERS
10 Southern California Edison

11 PAM SILBERSTEIN
National Rural Electric Cooperative Association

12 MIKE SIMANTRA
13 WAPA

14 RAMTEEN SIOSHANSI
Ohio State University

15 JULIE SMITH
16 U.S. Department of Energy

17 SUE TIERNEY
Strategen Consulting

18 TRACY WARREN
19 NRECA

20 CARL ZICHELLA
Natural Resource Defense Council

21

22 * * * * *

1 P R O C E E D I N G S

2 (8:10 a.m.)

3 CHAIR TIERNEY: Morning everybody. You
4 guys are on time and we're starting late. So
5 apologies for that, great to see you all this
6 morning. This was a great meeting yesterday. It's
7 really nice, appreciate so much the work that you
8 guys did to put the panels together, that was
9 great. Pressures on for the next meeting I'd say.

10 Our first presentation in the beginning
11 of the morning will be the Subcommittee
12 presentations. And as I mentioned yesterday we're
13 having one panel presentation on the MIT study.
14 And then we are very fortunate that Cheryl LaFleur
15 will be here. So with that Anjan, you're up.

16 MR. BOSE: Okay. This is the grid
17 modernization initiative --

18 CHAIR. TIERNEY: By the way you get 20
19 minutes even though we're starting late.

20 MR. BOSE: Oh, good. I thought I would
21 be done in 10.

22 CHAIR. TIERNEY: Exactly.

1 MR. BOSE: Okay. We have been -- this
2 is the working group and we been looking at the
3 grid modernization plan. And the grid
4 modernization projects that are going on. And we
5 are in the last -- between the last meeting and
6 now we been trying to come up with an outline of a
7 report that the EAC will submit to DOE.

8 And so, let me tell you what we have
9 come up with so far. It's just an outline not
10 quite a draft yet. So first, I just wanted to go
11 through report structures, it's not going to be
12 very different from the usual executive summary
13 introduction. Overview of the projects that are
14 going on right now. And then some words, some
15 section on why the grid modernization research is
16 different from doing component or technology --
17 specific technology research.

18 And then finally, recommendations. And
19 the whole idea here is not to make it too large,
20 ten to fifteen pages most. And with an executive
21 summary of two to three pages. So I will actually
22 -- my presentation here is sort of going

1 backwards. Meaning I'll tell you what the major
2 recommendations were that we came up with
3 yesterday morning.

4 So the main thing -- we didn't want to
5 go in to saying here are some new things that you
6 ought to be doing. Because there's a large amount
7 of stuff that is being done already. And it's all
8 on target. So wanted to start up the
9 recommendation list by saying, the grid
10 modernization initiative has been taught up for
11 the last three or four years. And have come to
12 the point where a lot of projects are already in
13 place and they're on target.

14 All we are saying here is some of things
15 we need to maybe do a little bit more of or think
16 about. So the big one, the first recommendation
17 is that I think we should be going towards
18 simulation platforms that can support the large-
19 scale grid simulations. To be able to do research
20 on planning and operational control of large power
21 grids. And this is still kind of a missing piece.
22 And so that's one of the major issues.

1 The whole problem it's not only just --
2 I mean there are a lot of simulation platforms
3 doing specific things. Some do planning, some do
4 sort of a transom stability, some do all kinds of
5 things. But there's not one platform to do a big
6 thing. And then the other thing that's missing
7 very much, is that these are usually doing either
8 only transmission or only distribution. It
9 doesn't really have the ICT layer in it, and so
10 on.

11 So what we're saying is we need a kind
12 of large platform. I'll tell you in a minute why
13 -- the problem is this -- I'll tell you why this
14 is more of a national infrastructure public good
15 kind of an effort here. Rather than somebody
16 who's trying to sell another piece of software is
17 going to build something like this.

18 So this is for the big grid. Now, where
19 it becomes a little more tricky is that
20 subsystems. So if you're going to check out some
21 new controlled distribution feeders, you can do
22 those in smaller labs. Not only simulation, but

1 it can have actual laboratories, RTDS facilities.
2 All kinds of things that are specific. So we kind
3 of envision there's going to be a lot of these.
4 This is still not talking about, are we going to
5 test out a new battery or we're going to test out
6 a new controller. That's not it.

7 This is still systems, but maybe not as
8 big a system as the eastern interconnection, okay.
9 So then couple of other things, smaller impact on
10 the grid of new technology. So this is the thing
11 that we really want to get across, is that there
12 are places in DOE where people are working on
13 storage, on transformers, on different
14 technologies. The thing is the grid modernization
15 initiative is not about those technologies. It's
16 about when you put -- how does anyone of these
17 technologies, if you have plenty of them how does
18 it impact it.

19 So it's not a question of testing out a
20 battery, we want to know what impact a few
21 thousand batteries are going to have on the
22 western interconnection. So that's a different --

1 that means that we have to model these batteries,
2 you have to have the equations, you have to
3 develop the testing all of those kinds of things.
4 And then the last one is we talk about the
5 policies are always very much integral to making
6 any of these system wide things happen.

7 And so, what are the hurdles, what are
8 the -- this is not necessarily research. But it's
9 something that if you're not aware of and
10 cognizant of you're not going to be able to just
11 throw this new idea across the transom and expect
12 it to just to take off. Okay. So that's the
13 recommendations we want to -- that's the last
14 chapter of our report. The previous chapter we
15 would like to sort of point out that grid research
16 is different from component research. Because
17 we're talking about efficiency, reliability,
18 flexibility, resiliency of the large system.

19 And we're not trying to develop new
20 batteries. We're not trying to develop new
21 windmills, right. So that's the big difference.
22 And so, the systems kind of issues, you know,

1 appear in planning, operation, control, analysis,
2 simulation. All of these things which, you know,
3 sometimes we lump into this word called analytics,
4 but it's big analytics, right. So once you get
5 into the big grid, there is no way to test the big
6 grid except in simulation.

7 Nobody's going to let you go and fiddle
8 around with the western interconnection. So
9 you've got to have enough believable simulation
10 capability, that says if you really change this
11 way of operating then it will really be better.
12 Because here's what's going to happen and -- for
13 let's say for efficiency or maybe resiliency of
14 the grid.

15 So that leads right into our first big
16 recommendation which is the system large platform
17 for doing large systems simulations. And the
18 subsystems are components as we said can we do
19 with hardware and so on. So there will be a
20 chapter on that sort of describes what projects
21 are already going on. You know, there's a mixture
22 of very fundamental type projects. Where

1 questions that are trying to be answered. Like
2 interoperability and architecture -- new
3 architectures for the control centers and so on.

4 We will do sort of rough description of
5 all these projects. Just to tee up the
6 recommendations. And then the introductory
7 chapter, you know, there's been a lot of work over
8 the last several years at DOE. Kind of, you know,
9 in the QER and QTR and the multi-year program plan
10 for grid modernization. And coming up to this set
11 of projects that are going on now with the labs.

12 Our working group actually got quite bit
13 of stuff done on the webinars are people actually
14 working on this projects, briefed us on what they
15 were doing, and so on so on. I wanted to kind of
16 in the early chapters, kind of say that there has
17 been a lot of thinking in this already taken place
18 in DOE. And of course, they'll be an executive
19 summary.

20 But I wanted to leave you with a couple
21 of thoughts here that we talked about quite a bit
22 yesterday morning when the working group met. And

1 this idea -- the tone of the report is kind of
2 important, why is this important? The main thing
3 is that the grid is a critical infrastructure and
4 it is a system, it is not a particular thing. And
5 so, the resiliency

6 (inaudible) efficiency of the whole
7 grid is a public good. And not so
8 much a private good.

9 Not so much somebody says, well if I
10 develop this gizmo and we can put a few thousand
11 of these on it, then it's all going to be better.
12 Well, we don't know that. We can only tell what
13 the gizmo can be tested. But we can't tell what
14 would happen -- as you know what I'm referring to
15 is that fact that it's still not a very clear cut
16 answer. As to if you have 10 percent solar as
17 opposed to 70 percent solar, how will the -- what
18 will the grid look like. Is the grid even
19 operable if you have 70 percent solar? So those
20 are the kinds of questions we would like to answer
21 in this thing.

22 So the idea is that the R & D for grid

1 modernization is qualitatively and quantitatively
2 different from the R & D for component
3 technologies, okay. So and the other thing the
4 last thing I would say, is that the grid
5 modernization is actually quite the research
6 needed, is independent of what is happening to the
7 grid. Or saying it another way the grid will have
8 to handle whatever is happened to the grid.

9 So 10-years from now somebody's got to
10 operate this grid. Doesn't matter how much --
11 what the generation mix looks like, how much
12 technology you put into it. What is the cyber
13 security threat, you still got to operate the
14 grid. And so the grid has to have this
15 flexibility and so on. That has to be built into
16 it. It's not like we have said the grid 10- years
17 from now should look like this. So let's just
18 build one. It just the world doesn't work that
19 way. So I'll stop there and take a couple of
20 questions I think.

21 CHAIR TIERNEY: I have one.

22 MR. BOSE: Okay.

1 CHAIR TIERNEY: There's a big fat
2 amazing statement in your third bullet. About the
3 grid being a public good. Now, the resilience,
4 security and efficiency of the grid is a public
5 good. And yet, we support it as if it is a
6 private good. I mean the only way that it is paid
7 for is by people who use electricity and pay the
8 providers of electricity.

9 So is it that you are suggesting that
10 the R & D that's essential for all of this, is the
11 public good, to support the private delivery of
12 electricity. Are you arguing that there really is
13 some socialization of costs, that needs to happen
14 in order to make sure that this grid stays in
15 place in the future? Or what...

16 MR. BOSE: I'm saying that there has to
17 be some socialization of the cost of development.
18 And the reason -- yes, it is ultimately somebody
19 is making money off the grid. Because the pieces
20 of the grid belongs to private organizations. And
21 so, they're making their money on whatever the
22 rate structure is for retail or wholesale

1 whatever.

2 But my point is that this R & D -- the
3 reason DOE needs to do this R & D, is because none
4 of these players who are making money off the grid
5 are going to do that R & D. Because they're not
6 interested in -- you see they don't make money
7 because the grid is 5 percent more reliable or 20
8 percent more resilient. They don't make money
9 because of that. We set the reliability
10 standards, we set -- (inaudible) sets the
11 standards to get to that so that's good for the
12 whole country and good for everybody. Does that
13 make sense?

14 MR. ZICHELLA: Thanks Anjan. One of the
15 things we talked about a little yesterday, I don't
16 see it reflected here. It's a little bit in your
17 fourth bullet about the development methodologies
18 for the planning design and operation of being of
19 the national interest. We did talk a little bit
20 about yesterday, the imperative for the United
21 States to maintain its competitive leadership in
22 developing some of those technologies as well and

1 the approaches to that. Couldn't help but
2 noticing that there's a story in the New York
3 Times this morning. About China baking into its
4 5-year plan. A real leadership role for itself
5 and climate litigation. Which extends to the
6 electricity sector as well. It's not just China
7 of course, we're seeing innovations and the same
8 exact conversations we're having occurring in the
9 EU for example. About grid modernization and
10 coordination too.

11 I'm just wondering if your fourth bullet
12 was meant to pick that up or if you're -- you
13 think that that has a place at least in the early
14 draft of the report.

15 MR. BOSE: I don't know that I will
16 actually explicitly thought of that. We did talk
17 about this yesterday about the competitive nature
18 of grid. The big issue of course is that --
19 unlike say China which is building out their grid.
20 And their grid is going to be a lot bigger in the
21 next few years, than ours are going to be.
22 Because our load is not growing and so our grid is

1 physically not going to get a lot bigger.

2 By that I mean the total megawatt hour
3 consumption is probably not going to be much more
4 than where it is. So yes -- but then the question
5 is our industry the American manufactures and so
6 on are competitive in this area. So one of the --
7 but I think your point is well taken and I'll note
8 that to include. Because I don't think anybody
9 has this level what we're suggesting of testing
10 and R & D.

11 Nobody has it yet in the whole world.
12 So -- I mean China is probably the closest in
13 trying to get the biggest platforms they can get,
14 then anybody else. But it still lacks.

15 MR. ZICHELLA: Yeah. And it's a global
16 market for the products.

17 MR. BOSE: Right.

18 MR. ZICHELLA: You know, so there's an
19 opportunity for us.

20 CHAIR TIERNEY: Thank you Anjan. That
21 was great. We're looking forward to seeing the
22 draft.

1 MR. BOSE: Next in June.

2 CHAIR TIERNEY: That's right.

3 MR. BALL: Hey, Sue.

4 CHAIR TIERNEY: Yeah. I'm sorry Bill I
5 didn't see it.

6 MR. BALL: Well, I was just going to
7 say-- I actually like the thoughts of the group.
8 I would say this from a grid operations
9 perspective. You run into as many conversations
10 around the future which is uncertain. Therefore,
11 like you were mentioning Anjan, the grid needs to
12 be able to put itself in a position where it can
13 handle the different uncertainties. That would be
14 -- from a grid planning, from a grid operations
15 perspective. What I filter all that to say, you
16 need margin, you need flexibility.

17 MR. BOSE: Yep.

18 MR. BALL: Some of the conversation
19 yesterday in and out of those really good panels.
20 You also heard questions around -- well by some
21 other metrics, you have components of the grid
22 that aren't operated on a high percentage of the

1 time close to their capacity. And isn't that a
2 shame these two things are obviously in conflict.

3 So as an operator when I hear folks
4 advocate let's come up with things that will help
5 us operate the grid. Closer to the edge, closer
6 to its full capacity. I hear more outages.
7 Because even as good as we think we might be to
8 ever predict tomorrow's reality. I mean, we're
9 just not as good as the models might say we could
10 get. So that's actually the type of tools you're
11 talking about. Might be helpful in trying to give
12 more information to help balance those two kind of
13 bookends of the spectrum.

14 Because an operator can give me all the
15 flexibility you can give me. That makes -- you
16 know, any operator would want that. But that all
17 comes with the cost and I think that's your point.
18 And you're right, there are very -- it's very
19 difficult to -- especially over a large area to
20 make a really good analysis onow much margin
21 should you be willing to pay for. So I think it's
22 a great idea.

1 MR. BOSE: You know this came up in our
2 conversations yesterday, in this way. You know,
3 we see lots of studies which say, you can have 70
4 percent renewables or 90 percent renewables. And
5 you can meet your load 98 percent of the time.
6 Well that leaves a lot of hours that you have to
7 face without enough power, right. And what we
8 have lost is we use to be able to calculate the
9 loss of load probability, very nicely.

10 Because we used to know the statistics
11 of the outages of all the big central generating
12 plants. And now we have no clue, when we're going
13 to run out of power because we don't know what the
14 statistics are for all our solar and wind. We
15 don't even -- some times we don't even know if
16 they're turned on or turned off or even connected.
17 So it becomes impossible to calculate exactly --
18 and those are the types of tools we have to have
19 to give us that confidence.

20 CHAIR TIERNEY: Thanks Billy, and I
21 would just -- is yours directly following up?

22 MS. LIN: Janice. Okay super quick.

1 It's occurred to me that this work that you're
2 doing has a lot of synergies and potentially is
3 related to a white paper the energy storage
4 Subcommittee is working on. And I don't want to
5 steal Merwin's thunder from his presentation later
6 but in this white paper, we're developing
7 scenarios of what a very high penetration of
8 energy storage in the future could look like,
9 which could inform this grid modernization vision.

10 And I guess the thing I wanted to
11 suggest is we'd like to work with you to find out
12 how our thing could be most helpful for you. So
13 maybe we can chat today. And two, that looking
14 out into the future, it would be good not to just
15 make the assumption that reliability will be sort
16 of centrally planned and operate. Cause one of
17 our scenarios for the future is it may happen.
18 And kind of a more transactive peer to peer
19 scenario. And so, the function of the grid itself
20 could be really different, so thank you.

21 MR. BOSE: There's a lot of overlap
22 between the different groups with the EAC. And

1 some things come up and we have tried to keep this
2 one very systems oriented. And we're not worrying
3 about whether storage is going to solve all
4 problems or solar or whatever. Because we're
5 going to get a combination of these things and we
6 want to know what the impact is going to be of
7 everything together.

8 CHAIR TIERNEY: Great, thank you. I
9 think John Adams, you're up next.

10 MR. ADAMS: You know, I'm walking up
11 here in a panic. Did I spell Heather's name
12 correctly? Actually, did I even get her name
13 correctly. I was really worried. Power delivery
14 Subcommittee we had an in person meeting
15 yesterday, that I thought was delightful. We
16 haven't had one of those for a long -- in fact
17 it's the first one I've ever been to. So I was
18 very pleased. And we set them up for the next EAC
19 meetings as well. So I feel like we made a lot
20 progress there.

21 We only have one thing going on now,
22 that's the transmission distribution interface

1 topic, that our panel was about yesterday. I'm
2 pleased with the results of that. What we're
3 worried about is, okay the same thing everyone's
4 talking about. The increasing penetration of
5 distributed resources. Hey, there's a possibility
6 energy could come up from the distribution system.

7 As Woody mentioned yesterday our state
8 estimator says, oh no, that's impossible. So we
9 actually zero any observations of energy coming up
10 from the distribution system. Which hey, if we
11 get greater penetrations that might be a problem,
12 just maybe. So we're working to understand how
13 different regions are dealing with the increased
14 penetrations and moving forward towards that. We
15 have this plan for a report on the transmission
16 distribution interface going forward.

17 The good news is that Heather has kindly
18 agreed to take the leadership in that report. And
19 to be the vice chair of this Subcommittee. So I
20 can go back to sleep and I really appreciate that.
21 I need to figure out how to change the page. So
22 the plan is to conduct phone interviews, this is

1 basically the same thing I said yesterday.

2 Similar to the work of the storage
3 Subcommittee. I want to thank Ramteen for giving
4 us that direction. I think that worked very well.
5 So we're planning on copying that. We had the
6 panel yesterday. Preliminary work target is that
7 by the June meeting, would have developed the
8 questions that we're going to use on those
9 interviews and target interviewees. How many
10 people are we going to talk to, what are we going
11 to talk to them about.

12 By September we hope to have completed
13 the interviews and aggregated the data and
14 developed a report outline. What do we think
15 we're going to talk about, what input did we get?
16 And by next March 2018, have something to present
17 to the full Committee.

18 Other things we did at the meeting, we
19 brainstormed about what our next product would be.
20 It's all just brainstorming I can talk about that
21 if you want to chew some more time up. But I don't
22 think we have the need to chew some more time up.

1 So I'll just take questions.

2 CHAIR TIERNEY: Well, I know I have one.

3 As you guys think about this issue, which is so
4 massive and really important, how are you thinking
5 about what is really the focal point? Are you
6 thinking about the audience being the industry at
7 large? And/or the Department of Energy's research
8 platform and/or something else. How are you
9 thinking about really what are the driving
10 questions?

11 MR. ADAMS: I'm going to give what my
12 thoughts are on this. Then I'm going to ask
13 Heather to speak up. I guess our intent was to
14 give feedback to the Department of Energy, on
15 where are the gaps and what's going on. After
16 having talked to the various regions of the
17 country with different -- I don't know how say
18 that, it's not really infrastructure. It's
19 different social structures around the grid. And
20 I guess my concern is being from that province of
21 Texas, it's a little different from the rest of
22 the universe.

1 CHAIR TIERNEY: That country of Texas.

2 MR. ADAMS: Can I say that in this
3 forum. I worry about the solutions that are
4 developed in the larger universe, fitting our
5 little market design. Heather, do you have any
6 thoughts? Anything else.

7 MS. HOFFMAN: This is Pat. I just have
8 -- I guess one thing that I would like to see is,
9 where do you also see some of the leading-edge
10 work, you know, some of the gaps but also, the
11 leading-edge work. Some people are talking more
12 to moving towards D.C. line and D.C. capacity.
13 You know, where are the trends and what work needs
14 to be done in the United States. If those -- some
15 of those forward leaning technology and system
16 innovations would be, you know, our opportunities
17 for the United States.

18 MR. ADAMS: I am too ignorant to have an
19 answer for that. I can put that on our list of
20 things to look at for this paper. And I'm just
21 going to ask, does anyone else have an answer to
22 that question?

1 CHAIR TIERNEY: Phyllis.

2 MS. CURRIE: I'm not going to answer
3 that question. What I am going to point out is I
4 think that we also have to look at the different
5 models in the industry. Because public power and
6 the coops have a very different approach. Now,
7 that doesn't mean that they can't be laboratories
8 for some of these changes. Because their ability
9 to get the funding and the approvals is different
10 than from the IOUs. So we just have to keep them
11 in mind.

12 MR. ADAMS: Pat, let me. I wrote down
13 what leading edge research needs to be done in
14 this area. Does that capture your thought, thank
15 you? Anything else?

16 CHAIR TIERNEY: Go ahead.

17 MR. GELLINGS: (Inaudible) what you just
18 said, kind of captures it but we keep using the
19 word storage here and there. But we forget that
20 there is a strong potential for a lot of
21 innovation yet, in technology in the power
22 delivery system. We haven't mentioned the word

1 power electronics in a number of meetings.

2 And, you know, advance power electronic
3 devices apply differently -- applied to a variety
4 of switching and monitoring locations around the
5 power system. There's a lot yet that can be done.
6 They're all big buck R & D items, but I'm a little
7 concerned that the EAC is drifting more towards
8 investing itself in policy discussions. Than it
9 is to be focusing on what is the fundamental
10 mechanisms to take power from generation of any
11 kind, and deliver it to customers. And that's
12 technology.

13 MR. ADAMS: Clark, I'm going to do the
14 same thing I just did to Pat. I captured to be
15 sure to address the potential for power
16 electronics in particular in technology to improve
17 this interface.

18 CHAIR TIERNEY: I would add one other
19 thought for you guys to keep in mind. And it
20 links together Billy's point from a minute ago and
21 Anjan's work as well. As we look forward to a
22 world in which there's much more reliance on

1 distributed energy resources as oppose to
2 traditional wires solutions one of the things that
3 Billy's point raises is that if we don't
4 anticipate the need to actually build in the
5 capability for flexibility and resources

6 we may work towards a world in which
7 we're just satisfying the next incremental tiny
8 little thing and that the sum total of the parts
9 will be really less resilient. Really less
10 reliable, less flexible. And that is counter
11 intuitive from the conventional wisdom.

12 I know that in this work that I did with
13 SCE and ConEd, where there were replacements on
14 the distribution system. That avoided a new
15 investment in the grid and you'd satisfied that
16 with DER's. Unless you add the headroom that you
17 would normally add as you're building transmission
18 and building new distributions systems you really
19 are tying your hands behind your back.

20 So thinking about this would be really
21 useful, to think about what standards might be
22 really important to think as you're planning the

1 system to be able to operate flexibly. So maybe
2 it's also for yours as well gridmod.

3 MS. SANDERS: I've said this I think the
4 last three meetings. But I think one of the
5 things we really need to do is, you know, the
6 thing I call an equivalence. If we're not going
7 to build a substation or reconductor or do
8 circuits but we're going to DER, what do we get
9 and what do we not get. So I really think that is
10 what we need to think about. So if I'm not
11 putting in a cap bank that I know how it operates,
12 that's always there and I know how long it lasts
13 but I'm using a collection of inverters, what do I
14 get, how long do they last, how do they operate,
15 how do they perform? That's something that I
16 think we really, really need in this industry.
17 We've hesitated to do at Edison because it appears
18 self-serving. But this is critical, because when
19 I add a substation, I know what it is, what it
20 does, how long it's going to last. If I add
21 instead a collection of DER's it's a portfolio we
22 don't know.

1 And it's one of those things where we're
2 very progressive we're very open. We're working
3 on, you know, figuring out how to make it work.
4 But the operators at the end of the day take this
5 very seriously. And you know one of the
6 implications that's happened with all the solar we
7 have on.

8 I rode around with one of our trouble
9 men and he's like, we switched in for maintenance.
10 And it overloaded everything because we didn't
11 know how much solar there is. So we only switch
12 at night. I'm like what. No, it's not, you know,
13 we're getting there with new sensors. But I think
14 we really need this study, this report that says,
15 if I don't do this and do this instead, what do I
16 get and what don't I get. I think there's
17 advantages too. But I also think that it's a
18 whole new paradigm of thinking. It's the same
19 thing that happened in the transmission operation
20 when we moved from baseload resources to peakers.
21 Now, with the whole collection of resources you
22 have to handle the ramping. So anyway, thank you

1 Sue for bringing that up and so I had to say it
2 again, third time. Broken record but I don't know
3 --

4 CHAIR TIERNEY: We will put it on the
5 agenda at the next meetings.

6 MS. SANDERS: Okay.

7 CHAIR TIERNEY: Okay.

8 MS. SANDES: Thank you.

9 CHAIR TIERNEY: Merwin, yours the last
10 point on this before we move on. Are you good?

11 MR. BROWN: Following up on Heather's
12 comments on mindset and framework. We frequently
13 talk about distributed energy resources, deferring
14 or not. By allowing us not to have to build
15 central station infrastructure, transmission et
16 cetera. I suggest that we broaden our thinking to
17 look even further in the future where that may not
18 be the case.

19 That instead we may be shipping
20 distributed energy resources back out onto the
21 central system to be sold somewhere else. I can
22 easily see the central value of California, way

1 over producing solar energy. And wanting to get
2 it and selling maybe in Nevada or someplace else
3 so. I guess what I'm trying to say is, let's not
4 get into a mindset where we see the central
5 transmission system shriveling and the DER
6 growing. Because I can see a point where it will
7 flip over. And we'll be back out using the main
8 backbone systems but they'll look different. They
9 may have to be rebuilt. But any way I just want
10 to get that on the record so...

11 CHAIR TIERNEY: Good point. John, did
12 you want have final words.

13 MR. ADAMS: Just want to be sure I
14 captured that. I think that was, be sure your
15 thinking doesn't just consider displaying central
16 station generation. And Sue I'm not going to
17 retry and redo yours. But I think Heather has it
18 down, no.

19 MR. BROWN: He said something that
20 mislead you. I'm really talking about the
21 transmission interconnection. That -- I hear
22 people talk about in terms of the DER's going to

1 shrink the need for it. So we would see it
2 diminishing in size et cetera. And I would argue
3 that there may be a period of time where that's
4 true. But I can see a flip over in which the
5 reverse happens.

6 MR. ADAMS: Ah.

7 MR. BROWN: That we're using that
8 interconnection -- wider interconnection to move
9 distributed energy power around the
10 interconnection.

11 MR. ADAMS: Thank you. Got it.

12 MR. BROWN: I think it's more of a
13 mindset issue than, you know, specifics at this
14 point so...

15 CHAIR TIERNEY: John, thank you so much.
16 And you guys put together a great panel yesterday.
17 Thank you very much. It was great. We need to
18 change to Paul's set up. But apparently, we need
19 to take a tiny break in order to get your slides
20 up, is that right?

21 MS. PELLECHIA: Takes three minutes.

22 CHAIR TIERNEY: Okay. So breathe, check

1 your emails. Do everything else. Probably will
2 not take a break before a panel. Because I want
3 to keep on time for that and to keep on time for
4 Cheryl LaFleur. But if -- obviously, if you guys
5 need to individually go out then just take your
6 breaks as you need to. And with that Paul thank
7 you.

8 MR. CENTOLELLA: Thank you Sue. So I
9 want to talk about where the smart grid
10 subcommittee is and the work product that we're
11 hoping to produce for June. But to get there I
12 thought I would take just a few minutes to review
13 where we have been over the last year. In part
14 because there are some new members to the full
15 Committee.

16 And then part because this is some
17 really rather important background for the piece
18 of work that we're hoping to produce in June on
19 the valuation and integration of distributed
20 energy resources. So let me do a brief recap and
21 then talk about exactly what we're hoping to come
22 up with here.

1 So as you will recall a year ago, we had
2 a panel discussion on the valuation and
3 integration of distributed energy resources. And
4 I thought it was useful just to remind us of some
5 of the things that we're discussed there. So we
6 had a presentation by Bill Kallock who's from
7 Integral Analytics. He is working with a number
8 of utilities to look at how to value distributed
9 energy resources.

10 And they are doing forecast, long term
11 forecast that are very spatial granular. You'll
12 have specific parts of the distribution system,
13 where is load developing, where is DER going in,
14 where are there going to be EVs. All very much
15 looking at how do you plan on this very granular
16 basis. And producing these, you know, these kinds
17 of maps that you see in the upper right.

18 That began to look at where is there
19 going to be congestion on the distribution grid.
20 And how do you begin to deal with that on a very
21 time and location specific basis. We also had a
22 presentation by Professor Michael Caramanis of

1 Boston University. Who has done this work about
2 how do you begin to take LMP pricing and push that
3 down into a distribution system. So that you can
4 have now DLMP pricing.

5 Recognizing that you can't simply start
6 from the ISO's and have the ISO's go all the way
7 down into the distribution system. That is not a
8 computationally tractable system. But it's
9 computationally tractable to be able to have
10 distributed markets. That actually could develop
11 real and reactive prices at a distribution level.
12 That is not to say that there is not further work,
13 further research, further study that's needed in
14 this area.

15 And he identified some of the areas of
16 further R & D that may be needed. In particular,
17 the interplay between providing both real and
18 reactive power. And the provision of reserves
19 down at the distribution level. Thinking about
20 where does market power begin to play in these
21 more granular markets. And also, thinking about
22 what's the necessary communication architecture

1 and how do we secure that architecture in this
2 kind of environment. We're looking at more
3 granular prices.

4 We also had in that session Professor
5 Deepak Divan who's the head of the center for
6 distributed energy at Georgia Tech. Who talked
7 about an important element of this. And that is
8 the introduction of these very fast autonomous or
9 semi-autonomous controls at the edges of the
10 distribution grid. And that that can in fact
11 take, you know, for example the picture that you
12 see at the upper right.

13 Which is voltage on a secondary
14 distribution circuit. That is very ragged and in
15 fact, it has variability that's not really
16 captured in our existing distribution models. But
17 if you put on these very fast voltage controls on
18 the edges of the distribution grid. You can
19 essentially equalize that voltage across the
20 circuit. And it significantly changes the
21 opportunity to control what's going on in the
22 grid.

1 But there are, you know things that we
2 need to do. We need better simulation tools and
3 models because this is largely behavior that's not
4 captured in our existing distribution models. We
5 need to look at what's the interaction between
6 these massively distributed autonomous controls
7 and power electronics and assets. And the way the
8 existing grid control operates.

9 And we need to think about a control
10 architecture that is a kind of mixed model. With
11 some continuation of centralize dispatch. Some
12 transactive control at a mid or distribution
13 level. And some autonomous controls that are
14 acting very quickly on a sub cycle basis at the
15 edges of the grid. And we don't know today,
16 what's the right balance of those things. And how
17 will they all work together.

18 So we had those presentations last March
19 along with Heather Sanders presentation. Talking
20 about the reality of what it means to be a
21 distribution system operator. And how that all
22 fits together in the complex world of operating

1 distribution systems.

2 We then had another panel in June that
3 was looking at the question of transactive energy.
4 We began to identify some of the potential
5 benefits of thinking about this world in a more
6 transactive way. So Dr. Srinivas Katipamula from
7 PNNL talked about the value of beginning to
8 integrate flexible load in buildings. And that
9 the barriers there are really the lack of real
10 control solutions and sensor solutions. And the
11 lack of automated technology.

12 But if you could begin to bring that
13 more into play you can potentially cut excessive
14 building use by as much as 30 percent of the
15 energy that used in buildings today. Which
16 account for

17 percent or more of electricity use. We
18 had a presentation from Curt Kirkeby also from the
19 Pacific Northwest. Talking about their smart grid
20 pilot program. And their transactive microgrid
21 that they put in place.

22 Where they were using, intelligent

1 agents creating peer to peer transactions.
2 Something that we're seeing emerge in peer to peer
3 markets and other parts of the world. And how
4 does that then relate to what we want to do here.
5 And we had Dr. Richard Tabors talk about the
6 development of business models that are based on
7 platform economics. Where you might have a
8 transactive model that both includes forward
9 transactions and an imbalance market. That
10 actually reflects the real and reacted power flows
11 across the distribution system.

12 And accompanying that with a services
13 platform that could animate new kinds of products
14 and services for customers. We also had an
15 overview presentation on transactive energy from
16 Lynn Kiesling. Talking about the emergence of new
17 technology, things like block chain and other
18 kinds of adaptations for a transactive grid. Both
19 of those panels I think were very important to our
20 thinking about where we need to go in the
21 integration and evaluation of distributed energy
22 resources going forward.

1 Another piece of this puzzle that the
2 Committee heard in January, was a presentation by
3 Professor Bill Sanders from the University of
4 Illinois. That to some degree will foreshadow the
5 presentations that we heard yesterday. Asking the
6 question about are we really creating an internet
7 of risky things as he put it.

8 And he both talked about the value of
9 beginning to integrate, you know, things that are
10 part of the internet of things. But also, talked
11 about some of the real risks that are involved.
12 Some of which we heard yesterday. The lack of a
13 standard security approach at a consumer
14 standpoint. The larger attacks surface. The
15 potential ways in which those attacks could occur.
16 And the lack of standardization on
17 interoperability and, you know, the potential
18 interaction of those vulnerabilities.

19 And talks specifically about the October
20 2016, webcam attack that created widespread
21 outages on the internet. And his overall
22 recommendation -- not unlike some of what we heard

1 yesterday, was one of caution. And so, I think
2 this becomes another ongoing area where we need to
3 have research. We need to understand the
4 relationship between security and what's going to
5 happen as we begin to integrate more distributed
6 technology on the grid.

7 So this plus what we heard yesterday,
8 brings us to kind of where we've been and where
9 we're going in the Subcommittee. Part of what we
10 have done is we have frankly heard a lot from the
11 grid modernization lab work that's going on.
12 There a number of those projects that relates
13 specifically to the valuation and integration of
14 DER.

15 And so that is in part reflected in the
16 kinds of things that, you know, that we think we
17 want to address in this upcoming work product.
18 What we're looking to talk about in the report
19 that we're hoping to have by the June meeting, is
20 to start with some foundational discussion on the
21 importance of the grid to our economy.

22 And the fact that distributed energy

1 resources are in fact, already a part of that
2 grid. And an important component that will
3 continue to be part of that grid going forward.
4 And therefore, we need to think hard about how to
5 integrate those resources well.

6 And it's more than just solar PV and
7 storage. It's the backup generators that we heard
8 about coming on line in D.C. Yesterday. It's
9 flexible demand, it's distributed control and
10 power electronics. And that I had that in the
11 slide. Clark before you mentioned it this
12 morning. And so, it's doing that and
13 understanding how we build on some of the work
14 that's already going on in grid modernization.

15 But also, really extending into I think,
16 at least three areas of research that we think
17 need to be supplemented with what's going on.
18 First of all is tools and evaluation for the
19 variability and time location. And electrical
20 products specific value of DER. With the
21 potential consideration of developing more
22 granular and efficient markets. As a way of

1 beginning to capture that value.

2 A second area which is R & D on grid
3 control. And particularly building in this notion
4 of autonomous control and devices. And how does
5 that relate to the overall control architecture
6 and this potential multilayer elements of control.
7 And finally, the area of cyber and physical
8 security including the internet of things.
9 Including consideration of resilience and how do
10 we begin to ensure that is addressed as well.

11 So we hope to have that product by June.
12 We will continue to follow up and look at internet
13 of things security concerns and potential
14 applications and benefits. And in our discussion
15 this morning, we also raised the topic and I think
16 we will have some further discussion. On what is
17 infrastructure investment in the grid mean. And
18 are there specific thoughts or recommendations
19 that the Committee might offer as the
20 administration goes forward and thinks about those
21 questions. So that's where we are and I'm open to
22 taking questions.

1 CHAIR TIERNEY: Paul that was great,
2 thank you very much.

3 MR. CENTOLELLA: Sure.

4 CHAIR TIERNEY: Heather. And then Clark
5 is your card intended to be up?

6 MR. GELLINGS: It is.

7 CHAIR TIERNEY: Okay. Good then you're
8 first then Heather.

9 MR. GELLINGS: Thank you. Thank you,
10 Paul, and you did mention casually at least in
11 part of your presentation the remarks made
12 previously in last March. That did relate a bit
13 to end use. But I want to emphasize if I may
14 please, that I think we need to include when we
15 think about distributed energy resources that one
16 important distributed energy resource is -- I call
17 it hyper efficient systems end use devices.

18 And specifically, I'm suggesting that as
19 I look at a portfolio of resources -- one of the
20 resources is making what's out there more
21 efficient. Eleven percent of electricity if used
22 in the production of electricity and the delivery

1 of electricity. We've got any of number of
2 studies we can point to that suggest that it is
3 both technically and economically feasible, to
4 reduce existing electricity consumption by 25 to
5 percent. And these are very valuable
6 resources that should be considered along with the
7 other distributed generation resources and along
8 with storage.

9 I think we tend to forget, that as we
10 begin to talk about the frameworks that would
11 evolve. In order for us to see an increase
12 proliferation of the other distributor energy
13 resources devises.

14 MR. CENTOLELLA: I think that's
15 important and, you know, some of the work that,
16 you know, that was discussed last March in terms
17 of voltage control. Are things that can reduce,
18 you know, 5 to 7 percent of peak demand and nearly
19 that much in terms of energy use, just on the grid
20 side. Without even having to enlist the changes
21 by customers. Heather?

22 MR. SANDERS: So one thing I would add

1 to this is a safety architecture. One of the
2 things that's come up as we have been looking at
3 distribution automation and automating, you know
4 reclosers. And, you know, you don't have occur
5 out there. And, you know, now grid checks and
6 recloses.

7 But if you're going to start to do more
8 automation and you're going to reclose in or do
9 automated switching. To re-energize people
10 quickly, you got to make sure that there's a
11 safety component built in. And so, I think when
12 we talk about this we think about, you know,
13 security, we think about, you know, operation but
14 I think we need to build in a layer of safety.
15 Like how do we check.

16 I mean, a lot of our crews worry about
17 inverter operations. And you know the old
18 standard, you know, whatever it was -- 1547 that
19 one. The inverter one, you know, is seizable to
20 just click off. Now, as it evolves because we
21 need reliability, we don't want them all to go off
22 if it's seizable (inaudible) somewhere else.

1 Again, I think there's a layer of safety
2 architecture we need to build into these types of
3 evaluations.

4 MR. CENTOLELLA: Any other thoughts?

5 CHAIR TIERNEY: Really cuts across all
6 of these papers that we just heard about. They
7 are all really compelling, and I think they can be
8 helpful to the department as well as the industry
9 more broadly. The amount of overlap that could
10 occur between these papers is enormous. Given
11 that there's not a lot of clarity about the edges.

12 I can tell you how long that the
13 National Academy Committee that Anjan and Granger
14 and I are on. Debated whether we could use the
15 word smart grid or grid mod or whether they were
16 the same things. Not kidding. So I think it
17 might be helpful for each of these groups to
18 actually, see if they can describe the boundary
19 conditions of what they will talk about. So that
20 we could see whether or not we are really squarely
21 overlap or whether or these are really focused on
22 different things.

1 I mean Anjan said, "you're looking at
2 systems issues." And it sounds like that's
3 engineering, physics, hardware systems. Although
4 I don't know that. There's a lot of institutional
5 things here, but there's also hardware physics
6 systems. And then the same is true for delivery
7 issues. So maybe we can sharpen what the
8 differences are between these papers.

9 MR. CENTOLELLA: So this was actually
10 part of our discussion this morning. And I
11 haven't had a chance to talk to Anjan yet. But,
12 you know, we did think that there was particularly
13 in the sort of premise of the importance of the
14 grid. And the fact that they are distributing
15 resources that will need to be integrated.

16 We thought there was overlap with, you
17 know, with some of the foundations for what Anjan
18 was going to write. Now, whether or not that
19 means these ought to be integrated into one paper
20 or whether or how maybe the introduction is the
21 same. But it's, you know, we haven't figured that
22 piece out yet. But we recognized in our

1 discussion this morning Anjan, that there was
2 overlap and this was something that there needed
3 to be some coordination on.

4 CHAIR TIERNEY: And before you guys
5 respond I just want to welcome Nancy Pfund. It's
6 great that you're here. We introduced Rolf
7 Nordstrom as the other new member of the
8 Committee, but we talked about you yesterday while
9 you were not here. And it's great to have you.

10 MS. Pfund: Well, thanks I'm thrilled to
11 be here and I look forward to getting to know
12 everyone and moving forward. Thanks.

13 CHAIR TIERNEY: And we know you had a
14 long trip, so thank you very much. Anjan and then
15 Jeff.

16 MR. BOSE: This is the classical problem
17 that I was referring to. One of the things that
18 gets lost when you start talking about particular
19 technology. I mean, if this one is going to be
20 about DER's of course it will affect the grid,
21 right. But the opposite is not true. The grid is
22 going to be effected by everything.

1 So if you're going to do grid research
2 you can't just focus in on DER and not look at
3 storage and that's the issue. So everybody --
4 whoever is looking at a particular technology
5 area, is going to have to say something about the
6 grid. And how it may or may not impact it. But
7 that's not to me that's not grid research, that's
8 not grid modernization and the overall picture.
9 But we should have boundaries between these
10 reports that we write.

11 CHAIR TIERNEY: Oh, and it's possible
12 that it's deliberate that there is overlap and
13 different perspectives and angles. So that's fine
14 too. But just clarifying who's doing what and
15 who's not doing what might be helpful. Jeff.

16 MR. MORRIS: (Inaudible)

17 CHAIR TIERNEY: And you actually have to
18 bring John and Heather too. That's good, yes.

19 MR. MORRIS: I concur with your thoughts
20 on this. You know, sometimes the same
21 conversations are happening in each of the
22 conference calls we're having. It's like, didn't

1 we talk about that the other day. But I have a
2 little bit different topic on this. From the
3 state perspective, you know, a lot of legislatures
4 are starting to legislate in this space.

5 And, you know, there's not a lot of -- I
6 would say critical thought pieces out there about
7 -- for particularly for average size utilities and
8 smaller not big utilities. Where there's a couple
9 of elements there's not a lot of information on.
10 One is that you need to have good substitute for a
11 market presence when you get down to some of the
12 actual call for resources. And a lot of utilities
13 don't have enough volume to justify a call for
14 resources.

15 And so, the next best stocking horse, is
16 a pilot program. But there's not a lot of
17 definition of what a good pilot program how that
18 might be framed. In order to get some market like
19 results for a utility wanting to get into this
20 space. And then from a larger perspective,
21 there's just isn't a lot of guidance really
22 either, about how utility might -- how they might

1 move into this space fully.

2 So if like, for a real cooperative in my
3 state. They may have one or two substations
4 that's worth doing this evaluation. But a lot of
5 the documentation is about doing your entire
6 utility service area. There's not a really good
7 framing of how do you make the juice worth the
8 squeeze, so to speak. On starting to get your toe
9 in the water to look at these evaluations.

10 I think any type of guidance that can
11 come out of this Subcommittee, on how to frame
12 that. You'll get a lot better outcome at the
13 state level, about how this is being pushed out,
14 in a way that actually adds to the national
15 conversation.

16 CHAIR TIERNEY: Really helpful point.
17 Phyllis.

18 MS. CURRIE: I think when you look at
19 the overlaps. That could come out of our various
20 reports. There might be some value and this is
21 maybe suggesting something that's more work. Is
22 to have kind of a summary report from the EAC

1 collectively. That tries to bring out the themes,
2 the common themes that are in all these reports.

3 CHAIR TIERNEY: That's a real good
4 point.

5 MS. CURRIE: Because I think when you
6 look at the audiences, they're going to be various
7 audiences for this work. And we want to have it
8 technical enough for the technical people. But we
9 need to have it a little bit more general. For
10 what I would call the lay audiences. And we also
11 need to be able to allow people to step back and
12 kind of see how critical electricity is to
13 everything that we do. And to then see why all of
14 these changes necessitate the continued investment
15 in upgrading of the grid.

16 But then to appreciate what's going to
17 happen or could happen in these other elements
18 that are going to be part of the grid. Whether
19 it's at the transmission level or the distribution
20 level. Because I think what you want people to do
21 is to first of all, appreciate the significance of
22 electricity. And the need for the continued

1 investment and to understand that none of us can
2 afford to be fixed in one point in time, in our
3 thinking about this.

4 But to continue to evolve with the
5 possibilities and the technology and the
6 customer's expectations. So just a thought.

7 CHAIR TIERNEY: Really good suggestion.
8 You get the last word on this one.

9 MR. ZICHELLA: Thank you Sue. It's just
10 something that Anjan said, that really struck me
11 as -- and something Phyllis just said also. There
12 is always going to be some overlaps especially
13 when you look at things from assistance
14 perspective. Everything does affect the grid.
15 The grid is greater than the sum of its parts. It
16 has an oversized -- as Phyllis just pointed out,
17 impact on the overall national economy.

18 There is a great deal of value from this
19 Committee and being able to keep the perspective
20 on how all these things affect the larger whole.
21 We can get ourselves really, I think, tied up in
22 looking at smaller parts of it. Without really

1 understanding how these things contribute to the
2 larger national perspective. I think that the
3 Department needs to keep.

4 So to the extent that we do this and we
5 pull out common themes as Phyllis just said.
6 That's really valuable. By identifying in each of
7 the reports where these overlaps occur may
8 actually focus research in particular areas that
9 are especially valuable. To that large overall
10 perspective. So I just wanted to throw that out
11 there. One of the things I think that I'm
12 personally really interested in is that larger
13 perspective that's so easily lost. Because we
14 always retreat to the segments of the system that
15 we operate in.

16 CHAIR TIERNEY: Great. Paul go ahead.

17 MR. CENTOLELLA: We do have two more
18 cards up. I don't whether you want to take them
19 or not.

20 CHAIR TIERNEY: I thought they were left
21 over.

22 MR. CENTOLELLA: We've got Gordon and

1 Merwin.

2 CHAIR TIERNEY: Okay go for it. I know
3 -- want us to keep us on track for our next one.

4 MR. CENTOLELLA: So let's try to keep
5 these short.

6 MR. BROWN: Merwin Brown, U.C. Berkley.
7 This issue has bothered me since I've been on this
8 Committee about five years now. And part of it is
9 that we inherited the structure by legislation.
10 And it never has to me made have much logic, as to
11 why we do what we do. But we're kind of stuck
12 with it. So I think we struggle through this.

13 And the one way I've attempted to do
14 this, is I try to participate in the other
15 Subcommittees. And don't get them all but as
16 Chairman of Energy Storage Subcommittee, I can be
17 there to see what they're doing. And also put
18 input in from the energy storage perspective. To
19 try to make these things better as far as overlaps
20 concern.

21 And the other thing we did not too long
22 ago was this joint effort which I think tackled

1 some of this problem. Was on the Distributed
2 Energy Storage project which that was done jointly
3 by the two Subcommittees. So those are kind of
4 some work arounds that we can use for the moment.
5 But I think the real issue persists just because
6 of our inherit legacy structure.

7 CHAIR TIERNEY: Thanks.

8 MR. FELLER: I'm Gordon Feller with
9 CISCO, I guess we didn't get to talk about it this
10 morning when or group met. But I am interested in
11 making sure in my own effort or maybe on a
12 Committee staff level. To get this report in
13 draft to some of the startups that are really
14 developing innovative solutions in this area. And
15 I'm thinking of grid OS, the solution that's
16 developed by the Ontario based company. That some
17 of you may have heard of who -- I believe it's
18 called Optus.

19 They've developed solutions in this area
20 that are really unique. Buffalo they deployed a
21 transactive energy platform, they've done
22 microgrids in Canada. They have lost of Canadian

1 customers that are now essentially trying to solve
2 some of these grid modernization problems. I
3 don't expect the report will be able to include
4 any evaluation of the technology.

5 But we've talked -- I think we talked at
6 the last meeting a little bit about emerging
7 technology innovators who are well financed in
8 developing effective solutions in this area. That
9 may be scalable, replicable and transferrable.
10 And I'm just making a call I guess in this report
11 and in the previous report. To think out loud
12 about how can we get some of the draft reporting
13 work after the draft. In final report form in
14 front of some of these startups. Who are really
15 potentially attempting to solve some of these
16 problems in unique ways that we may not have
17 thought about.

18 MR. CENTOLELLA: Okay. So thank you for
19 that suggestion, we'll figure out how to integrate
20 any input we can get from them. So just in
21 closing I want to just make a few thank yous I
22 probably should have made earlier. First of all,

1 thank you to Pat for the response to the
2 Distributed Energy Storage paper. We did look at
3 it and we appreciate your response. Thank you to
4 Gordon and Heather for helping to put together the
5 panel yesterday and getting our panelist. And so,
6 that I think concludes the report. You want to go
7 straight into the MIT Utility of the Future study.

8 So our next item on the agenda is a
9 report on the MIT utility of the future study.
10 This is a report that I was fortunate enough to be
11 on the advisory panel for. And it was -- what a
12 couple of years Carlos in putting it together?
13 Three years putting it together -- God I don't
14 remember when it started but it's been awhile.

15 And it was a project with MIT and also
16 Camillas Pontifical University in Madrid. And
17 Carlos has appointments at both and was one of the
18 principal folks working on the study. And is
19 going to talk to us about its results. I think,
20 you know, the results are certainly getting
21 attention by a number of people in the regulatory
22 community.

1 And will I think have an important
2 affect in thinking about both business models in
3 this sector and also regulatory models going
4 forward. Carlos.

5 MR. BATLLE: Okay. So first of all,
6 thank you very much for the invitation for me.
7 It's a pleasure to be here. I have to apologize
8 first for not being here yesterday. And I was
9 really regretting not having being able to be
10 here. I had to be in Brussels yesterday but I was
11 listening to the comments on what you were
12 discussing yesterday. I missed something really
13 relevant.

14 Just let me say something Paul that we
15 were fortunate to have you among us not the other
16 way around. Enough of (inaudible) bit of this.
17 Well let me introduce myself quickly. I am
18 working at MIT since 2011, the beginning of 2011.
19 As Paul said, prior to this I was a (inaudible)
20 I'm still a professor in the University of Madrid.
21 But at the same time part of my career I have
22 built it around the work supporting through other

1 institutions (inaudible) around the world.

2 Designing regulations, so I firmly
3 believe that the only way to really be helpful
4 from the academia on the regulatory issues. She's
5 to be there where the problems are core

6 (inaudible) tackling practical
7 problems. Not running on empty on
8 general ideas. So this is what
9 I've been doing for the last 20
10 years. Working in 25 different
11 countries all over the world on
12 this topics.

13 Currently now, I am the director and
14 member of the training committee of the
15 (inaudible) regulation. Which is
16 the institution of (inaudible)
17 commission to provide professional
18 training to energy regulators. One
19 of the two 40 members of the
20 8-people group of the advisory
21 committee of (inaudible) the U.K
22 regulator. And what I want to talk

1 about here -- what I want to talk a
2 little about the work that we did
3 in this last almost three years.
4 With the help of lots of people as
5 we will show later. Let me just
6 tell you a very quick story to
7 start with -- about what it is.
8 Oh, by the way I've been told that
9 I have to be talking like half an
10 hour or so or 40 minutes. But I
11 get bored of myself talking too
12 much. So I really appreciate any
13 question or comment in the middle
14 of the thing. I mean sometimes
15 this is good because you realize
16 that somebody is listening, at
17 least one. So that helps.

18 CHAIR TIERNEY: And how about if we do
19 this. If there is an urgent clarifying question,
20 ask then. But then otherwise let's take them at
21 the end. Does that work?

22 MR. BATLLE: Perfect. I didn't want to

1 take your role at (inaudible) so, yes. She rules,
2 perfect, perfect. So great. So what is this
3 story about, well (inaudible) years ago I met with
4 one utility in Brussels precisely. And the guy
5 (inaudible) he came and said, "look you know what,
6 you are MIT you have a visions. So we want you to
7 help us to know how the utility official will look
8 like."

9 And we are like we don't have a clue.
10 But anyway let us take a look at it and we were
11 wondering around that question for three months or
12 so. And then we came back to him and then said,
13 look we don't have any idea of how this going to
14 look like. But we do have an idea, is that we
15 know what is going to deeply condition what it
16 will look like. And it's basically policies and
17 regulations.

18 Policies in most cases are intended, we
19 want to do this so Europeans decided they wanted
20 to drive crazy or not. On renewables, the Germans
21 -- not to talk about them well this our intended
22 consequences to some extent. Regulation in most

1 cases and this is disparities that we have got
2 after many years, are not so intended.

3 So it's just you realized it's flawed
4 regulation takes you to places where it certainly,
5 you didn't know that you were going to be. And in
6 most cases, you didn't want to be. And this was
7 the message that clearly, we gave to him. And
8 said so welcome that. After talking with some
9 people (inaudible) institutions and people in the
10 U.S. They have the impression that there was a
11 need to try to contribute on that part.

12 And this is what we try to do, we know
13 that there are many other very good groups that
14 are working on that topic. I wanted to just
15 contribute into that direction and we still want
16 to contribute in that direction. So this is why
17 we build this thing. We started by -- well let me
18 quickly go because I think it's important to give
19 the message. That we wanted first thing to have
20 the support of very different stakeholders.

21 So we wanted to learn from the industry.
22 I firmly believe that the academics are useless,

1 specifically in this field on our own in our tower
2 there. Because we didn't have -- really the idea
3 of what is going on and we wanted to really have
4 the feedback of all the different stakeholders
5 from other institutions. To energy companies, to
6 new entrance all this new technological idea.

7 So the idea was basically, look at the
8 options first thing -- first to take a look at
9 what's going on around the world. And we have the
10 good thing of counting on my former colleagues in
11 Madrid. And bringing also the European approach
12 and all those things. Focuses specifically in
13 these two environments. So the U.S.A and

14 (inaudible) and also Europe. I'm
15 trying to look for recommendations
16 of calling the attention of the policy
17 makers and regulators and companies. About the
18 importance of certain topics to really look at
19 trying to build a framework that doesn't preclude
20 what is going to happen. But at least doesn't
21 avoid that certain good things might happen. And
22 this is basically the idea.

1 I'm going to go quickly through that.
2 We were very lucky to have -- sorry, very big and
3 good advisory committee. Paul was one of them.
4 But we have representatives from the ISO's from
5 DOE. From regulatory authorities, the European
6 Commission. And I think that it was also really
7 helpful. Obviously, we had -- they are the
8 companies that supported the study.

9 Again, this was important for us to have
10 really a very diverse group of companies. I must
11 say -- although I know that this is recorded. One
12 sign that we did a good job, is that more or less
13 none of these companies is happy with the things
14 we said. So this is the reason why you realize,
15 okay something is not at least extremely wrong
16 because -- and we really have been able to see
17 this after (inaudible).

18 MS. BROWN: Excuse me.

19 MR. BATLLE: Yeah.

20 MS. BROWN: (Inaudible)

21 MR. BATLLE: Yeah, all these guys. All
22 these guys. You have in there -- all these

1 different companies, yes. Yeah, I think all of
2 them are there. So I don't want it to be very
3 clear into that. So I'm going very quickly
4 straight to the point. Because the study has so
5 kind of introductory assessment of the different
6 things that are happening. New business models
7 are taking place but then I'm going to go not to
8 talk too much. And I will talk too much for sure.
9 On the scope of the recommendations.

10 The first comment is that I said it in
11 the beginning we don't know what is going to
12 happen. We only know one thing that the future is
13 not going to be as it was going to be. But we
14 don't know how it's going to be. The only thing
15 that we want to do is to at least suggest that we
16 have to take care of certain things. If we don't
17 want to condition what is going happen.

18 So maybe these new technologies are
19 going to be groundbreaking. Solar panels are
20 going to keep on reducing cost. Storage is going
21 to make a big jump and is going to change the
22 whole picture, we don't know. But what we do know

1 is that we have to make some changes in order to
2 allow for whatever might happen to happen. And
3 this is most important thing.

4 So do we really know -- are we able to
5 answer to this question. Is the future going to
6 be distributed we don't know. By the way this is
7 something that is -- I don't know where did we
8 take this picture from. But there are many
9 neighborhoods as you know in Germany. A very
10 sunny place by the way, that look like that,
11 right.

12 But what we do know is that the future
13 is going to be integrated. And there will be all
14 sorts of animals there that were not present ten
15 years ago. To what extent this is going to change
16 the operation of the networks or the needs of this
17 thing or the other one, we don't know. And we
18 wanted to be explicitly agnostic at these respect.

19 So we are no pro or against anything.
20 We are just saying that there will be lots of
21 different things. Don't forget that we are trying
22 to focus not necessarily in California or Texas or

1 Minnesota or Arkansas or Belgium. It's just a
2 more general view and its particular context
3 different things will happen, because policies are
4 not the same.

5 So what we wanted to do a framework for
6 an involving electricity sector. And we have
7 basically four big areas in which we have tried to
8 make some recommendations. Starting with we are
9 advocating for an improved development of the
10 design of electricity rates. By this and I want
11 to be very clear with this. We are not saying
12 that we need to quickly go all the way down to
13 what another member of the advisory committee.
14 Professor Michael Carmanis that Paul was
15 mentioning before is advocating for.

16 So we are not saying that necessarily we
17 have to go to the LMP on the way. And we have to
18 enter into the largest complexity ever. What we
19 are saying is that we have to start carefully
20 walking into a direction, in which we have to try
21 to look for better or larger sophistication of
22 their rates. And the design of the rates. If

1 this is just moving from the plain vanilla
2 volumetric tariffs. To one step forward or if
3 this implies going all the way down to the LMP's.
4 This is something that we don't know yet.

5 Indeed, let me have some commercials
6 here, this is where we want to work now. We want
7 to work in particular that topic. Is there any
8 80, 20 point where by moving forward a little bit
9 we solved most of their problems. But we are not
10 -- again, we are not saying we should change the
11 whole thing. But taking into account the basic
12 regulatory and economic principles that we are now
13 about. We need to move forward.

14 What in which sense -- well, we need
15 this system of prices and charges. Which you can
16 summarize into electricity or rates. That allow a
17 level playing field between the different
18 technologies that can be in place. Some ideas
19 more get into detail. Well traditionally I
20 remember first time I was working on tariff design
21 in Portugal 15 years ago. Everything was about
22 designing the customer classes.

1 So here we have the blonde ones, the
2 black hair ones, the tall ones. The ones
3 connected to these thing. No, this are industrial
4 that sell shoes -- so there are difference tool.
5 Everything was about that and once you have that
6 thing according to your political criteria. Then
7 you have the hot potatoes which were the cost and
8 you were looking at the blond -- this one for the
9 blonde ones.

10 And what we're advocating for is that we
11 have to change this mindset. Because we don't
12 have a clue and we will not have a clue what's
13 behind the middle anymore. And then we have to
14 get into the houses of the people saying, I know
15 you have a panel and there you are in panel
16 category. And then when you have solar PV panel
17 you're going to pay this part.

18 And the guy who's putting the panel in
19 the north part of his roof because nobody sees it
20 from the street. Because he knows that -- no, you
21 think that I'm kidding. But this is happening
22 now. I mean, (inaudible) from Europe or Germany

1 as 30 gigawatts of solar PV on the roof, 30
2 gigawatts installed. So these things are
3 happening now, it's not an invention.

4 So what we're advocating for is like
5 whatever we do it has to be based in the actual
6 pattern of consumption of people. No matter what
7 it is. I know that obviously, this may be
8 (inaudible) for certain categories
9 of customers. Basically because of
10 this discussion of to what extent
11 we need advance meters for
12 everybody. What but as soon as
13 this is the case and the cost of
14 (inaudible) is not the cost that
15 was discussed ten years ago.

16 We need to evolve into that direction.
17 Disclaimer or caveat if you want. I know that
18 many of you might be thinking well this is not so
19 easy. We have a (inaudible) we have some social
20 (inaudible) that we have to
21 sustain. You cannot change
22 electricity rates from one day to

1 another. We know that there lots
2 of embedded subsidies in customers
3 here and there, fair enough.

4 We are not saying that we have to change
5 that. And there are lots of ways in order to
6 compensate one moving one direction to another
7 one. But clearly what we think is that we have to
8 go into this direction in order to also send the
9 right incentives for end users. Not consumers,
10 not consumers whatever end users people behind the
11 middle to make the right choices. And this is
12 what we are planning for.

13 And clear obviously -- clearly, we have
14 to work also on how to do this without breaking
15 the current situation. We think that it can be
16 done and this is what we want to work on now. So
17 there is that -- if we have the user profile and
18 we know how much the consumers are -- the users
19 are. Which is the use of the people or the end
20 users of the network at this particular moment in
21 time.

22 Ideally, we can actually charge this use

1 on this basis of this pattern. And this is
2 basically what we are claiming for. I'm trying to
3 avoid all this nitty gritty tale of 70,000
4 different kinds of customer classes. Because
5 finally this leads to all kinds of arbitrage and
6 irrelevant or insufficient situations. More
7 clearly has been discussed and Paul was talking
8 about Michael Caramanis -- Professor Caramanis'
9 work.

10 We have still a question to be made to
11 what extent we need to be granular with this
12 study. So do we need all the way down as we say
13 to the toaster. So we have to enter into the
14 granular of each electrical appliance has to be
15 subject to certain tariff all the way there. To
16 what extent the location has to be considered.
17 Can we more relax in some cases?

18 What we advocate is that we need to move
19 forward into the certain direction. But we are
20 not to what extent we have to complicate our lives
21 (inaudible) lives that much. But
22 clearly there is a need to really

1 move from again this monthly plain
2 vanilla full metric tariff.

3 (Inaudible) different a levels and
4 this levels also highly depend on
5 where you are. Maybe I will talk
6 about it later.

7 So obviously, there is a big difference
8 on the relevance of this discussion when you live
9 in Arizona or Nevada. Then when you live in Hong
10 Kong. Obviously, the amount of roof that each
11 citizen in Hong Kong has is couple of square of
12 inches. So you don't have to be concern about
13 those guys or talking about the big apple in New
14 York. But certainly, it's not the case in
15 Arizona.

16 So the decisions, the elasticity in the
17 long run of consumers might be really different.
18 So some ideas that could be there well, it might
19 make sense in certain jurisdictions to start
20 differentiating between network charges and energy
21 charges. Because well as you can see, the use of
22 the network might in some locations be very

1 different. And imply certain costs so we need to
2 move into this direction.

3 We can also (inaudible) some the cost of
4 these forward capacity markets that are
5 implemented here and there. So this could be
6 another signal that we could send to consumers
7 also. And approve those signals just let me give
8 you an example and I don't want to -- it's not
9 joke. There is one university neighbor of us at
10 MIT in Cambridge. That has signed an agreement
11 with the New England ISO, which basically is based
12 on participating or I guess through any kind of
13 (inaudible) provider in the
14 critical care pricing. For a
15 capacity market in New England.

16 So what happens? What happens is that
17 in the summer three days per year, Harvard sends
18 an email to their employees. Saying, okay today
19 the system is under stress in New England so we're
20 going to reduce our consumption. So you are free
21 to stay at home, you don't need to come here to
22 Harvard because the air condition is going to be

1 off. Okay.

2 Great example, so you have everybody
3 concentrated in Harvard under one or two AC's and
4 they go home. And usually they're not going to be
5 at home without the air conditioning, right. So
6 they get the signal in their company but they
7 don't get the right signal at home. So look at
8 how weird is the regulation that we are building.
9 What an intended arbitrage because usually Harvard
10 is not doing anything wrong.

11 Please don't take this -- I mean,
12 they're doing the right thing. But regulators are
13 not really closing the loop in order to do
14 something different with that. This is a simple
15 example but it is clearly something that I will
16 have to start dealing with. Because the ability
17 of choosing the level of choice that we have as
18 consumers is going to increase significantly,
19 right.

20 (Inaudible) basic in order to
21 really boost all this development
22 of new technologies. New smart

1 thermostats that are minding all of
2 these kind of things. Well the one
3 thing I just want to mention they
4 are not so much for the U.S. but
5 more in the European context. Is
6 that also the electricity rates are
7 full of other costs. So where
8 call policy cost especially in
9 Europe I could show you some
10 graphs. So in Denmark for example
11 more than 70 percent of the price
12 that a consumer pays are taxes and
13 renewable subsidies, all these kind
14 of things.

15 I know usually we are trying to say --
16 they are beware with this. Because if you start
17 charging all those cost to consumers you might get
18 to the moment in which they just want to
19 disconnect. Because they don't want to pay for
20 that. And I would give you some good examples
21 about that. But I don't want to talk too much on
22 that particular thing. Again, this is happening

1 in Europe now very often, because of this. So we
2 need to find a solution for this.

3 I been listening (inaudible) interesting
4 question about the nature of public good of
5 networks. Which obviously is going to be very
6 much related to this. Because it might be also
7 the case that even if we don't have any other
8 policy cost there. It might be difficult for the
9 future to really allocate the whole cost of the
10 network. And then pass to consumers if we want to
11 send efficient signals.

12 So this might sound kind of futuristic
13 but it's not that much, right. But I'm not going
14 to enter into that anymore. So well there's
15 series of concerns. I want a just I said before,
16 this has to always be put in context of what is
17 efficient from the purely (inaudible) economic
18 perspective. Together with all the social issues
19 that surround the utility rates, not only in the
20 U.S. everywhere in the world. So we'll have to
21 look for the way to do it the smart way so
22 progressively we can anticipate the change.

1 I think that here in the U.S. we have a
2 very good opportunity that we seize. Is that the
3 major changes have not yet started. So -- and
4 again, I have a lot of expertise in the European
5 context, as I was saying before. So we have
6 countries that are producing close to 40 percent
7 of their energy with renewable energies, and
8 distributed sources. And they are mistakes that
9 are now difficult to fix because people have some
10 rights.

11 And it's difficult, (inaudible)
12 discussion if you going to have an example with
13 that. Here this is not an issue yet. So I think
14 that here we have the opportunity to some extent
15 advance and avoid certain mistakes made in other
16 places. Well, very quickly, I'm going to go very
17 quickly through that. Although I know that some
18 you did it this year. The second point is that
19 clearly, we have to look for ways to improve the
20 remuneration of distribution companies.

21 So one way or another we try to look for
22 ways to provide this companies with incentives to

1 innovate. To actually really reward their
2 performance and we need to be more sophisticated
3 into that. And I think that here in the U.S.
4 there are good initiatives into this direction.
5 So I'm not going to talk too much about that
6 because I already said it. So there are ways of
7 implementing many use of contracts. Using more
8 advanced referenceable tools in order to really
9 try to anticipate a potential things that might
10 happen in the networks.

11 Adjust the remuneration and as things
12 are happening and uncertainty is revealed, things
13 like that. One polemic issue that we have been
14 discussing also, is the really sign or rethinking
15 the industry structure. In this particular case,
16 I am more talking about those place where the
17 decision has been made in order to really
18 liberalize the retail market.

19 Obviously, if you are in a vertical
20 integrated fully regulated system, the discussion
21 is not so relevant. And to some extent it is
22 easier to move forward this respect. But clearly

1 what we have been doing is reflecting -- and this
2 is one of the points that maybe some utilities may
3 not like much. Or clearly don't like at all.

4 But try to simplify a little bit
5 discussion is that, in the '90's when we started
6 discussing which the role of the ISO should be.
7 And I remember very nice papers from Susan -- back
8 then in the late '90's on that topic. And
9 especially here in the U.S. there was a clear idea
10 that it was very important that the system
11 operator had to be independent, for lots of
12 reasons.

13 So they were going to be actually buying
14 the services, the research, the regulation
15 markets. To the different market operators in
16 order to keep the system secure. And they have to
17 be independent in dealing with the trading and the
18 markets and blah, blah, blah. Now, we are talking
19 about future world where not so future that where
20 distributed resources might be buying and selling
21 services to the distribution companies.

22 So that we can ideally avoid network

1 (inaudible) and all these kind of
2 things. On that discussion that we
3 had in the '90's in which nobody
4 discussed -- Sarkozy and Angela
5 Merkel in Europe did and they won
6 the battle, because they run the
7 thing. But that discussion in
8 which we said we need a system
9 operator independent. We need to
10 transpose it to the current
11 situation or the situation that
12 common situation that we have now.

13 And I would dare to say that it's even
14 worse. In which sense well, we will not have one
15 single highly monitored with transpiring market
16 as, I don't know, the PJM or Miso. We will have
17 lots of small -- ideally, we might have lots of
18 small locational markets with lower number of
19 stakeholders. Lower number of competitors with
20 much more nitty gritty details in the services
21 that you might need or not need. Needs of
22 coordination between distribution and

1 transmission.

2 And all these things require even a more
3 strict supervision. We know that ideally, to some
4 extent will be bundling the distribution company
5 from everything else. But well in some cases this
6 is again, political unacceptable or even
7 inefficient might be the case. So we're saying
8 that we should try to be very careful, in keeping
9 the distribution system operation away enough from
10 everything that is market and traded.

11 This implies for example that -- talking
12 about -- I know this might sound a little bit
13 aggressive but we don't see reasons why
14 distribution companies should own storage. They
15 might resort to it (inaudible) can be very
16 helpful. But well they should acquire the service
17 or the benefits from storage from market agents,
18 or retailers or whatever it is, this kind of
19 discussions.

20 So I'm sure that we can discuss about
21 that (inaudible) later. So I'm going to go
22 quickly through that. And finally, and I will try

1 to be even quicker with this. We need to update
2 electricity markets. So I'm hearing the message
3 is very clear on our side. We need to realize
4 that renewable technologies are no longer unable
5 to be part of the market. So they are
6 sufficiently mature, they have them on straight
7 (inaudible) particularly in Europe
8 that they can behave, exactly the
9 same that the traditional
10 conventional technologies.

11 They are very well able to forecast
12 their future consumption. They are very well able
13 to play in the regulation markets. They respond
14 to signals and when you send the right market
15 signals to them in the short term, they improve
16 their performance. So we are basically advocating
17 for more integrated to a better regulation, to
18 fully integrate renewables into the markets.

19 And this effects also to the subsidies
20 that they might receive which are perfect, great.
21 But at least, what we advocate for is try to
22 design those subsidies so that you avoid

1 interfering in the market mechanisms. So let's
2 try to avoid the subsidies that lead to
3 inefficient negative prices. Unnecessarily, these
4 kind of discussions. We are also advocating for
5 auctions.

6 In the case of -- to the assign the
7 actual volume of these subsidies. Everything
8 revolves around trying to better integrate
9 renewables. And trying to treat them as any other
10 source. The generational of demand. And this is
11 basically the idea just to finish with this to
12 illustrate a little bit that we have not only
13 discussed on air about regulation.

14 But we have made lots of efforts on the
15 analytic side. We count on very detail models at
16 MIT that are able to simulate with the highest
17 level of detail distribution networks. Dealing
18 with 20 million customers to the level of the last
19 feeder and last socket in its house. And we want
20 to also really illustrate how important the
21 locational value might be in the future.

22 And just to give you a illustration

1 about that. This is as you know the state of New
2 York, and we were just looking into the actual
3 value of distributed generation into different
4 locations in New York State. One of them is Rhode
5 Island, as you know Rhode Island is kind of
6 congested and there we were able to really on
7 local -- or evaluate the average locational value
8 per (inaudible) produce of this distributed
9 resources.

10 Due to the energy value but also the
11 value for transmission, distribution, voltage
12 control, distribution deferral. A lot of these
13 things. As you can see in that particular
14 location the value -- I mean again, be aware of
15 the numbers because it's more a way of corporation
16 of this. But it can be significant.

17 Well if you make the same analysis with
18 the same regulatory retailer Mohawk. In a
19 different location in the state of New York. Well
20 this value is almost in existent. This has also
21 implications. This is not a question of fairness.
22 Regulation has to get rid of this is a personal

1 view of the concept of fairness. Because fairness
2 leads you to inefficiencies.

3 You have to implement efficient measures
4 and then leave taxes, governors, ministries to
5 implement fairness later on. But what we are
6 trying to illustrate here is that, it is not the
7 same thing to install a solar PV panel on the roof
8 in Rhode Island than in Mohawk. And if we don't
9 make this distinction and if we don't send the
10 signal, we will be losing a huge amount of value
11 that we could take advantage of. And this is not
12 a simple thing. I fully acknowledge -- because as
13 I said I been working, and I keep on working for
14 lots of other institution.

15 To some extent this sounds too
16 challenging for regulators. Not because they are
17 not able to do it. Because in many cases at least
18 the ones I have been meeting. And I've been in
19 all kinds of countries. They are well prepared
20 for this but sometimes it's because simply they
21 are risk (inaudible). And I fully acknowledge
22 that this is the case. We are not saying that we

1 have to go all the way through. We don't say they
2 have to understand Michael Caramanis ideas.
3 Because for me it took me some discussions with
4 him until I got to understand what he wanted to
5 do. But we need to start moving forward. And we
6 need to do it quickly. Because there is one main
7 thing that changes the whole thing -- the whole
8 picture.

9 Last month I was discussing Bogota
10 Columbia -- one of the most -- by the way advanced
11 countries in regulation in the world. They
12 invented the foreign capacity market back 1988,
13 with the energy minister, right. And the guy was
14 saying, "well, we are very much concerned on how
15 we're going to plan our system." They have a very
16 developed market for electricity there. Because
17 we want to see which would be the technologies and
18 stuff. So we have to think about it first. And I
19 was telling him, look you don't have time to
20 think, because you cannot control any more -- this
21 is not discussing with seven utilities, talking
22 with them, negotiating. You going to build this

1 coal plan (inaudible) do me this. No, no, people
2 don't wait.

3 In many places, they love solar PV
4 panels because they feel great, right. Having one
5 on the roof. In the same way that some of you
6 feel great with a iPhone. Even if it's more
7 inefficient cell phone or more expensive or less
8 compatible or whatever. And they just implement
9 or just install the solar PV panel.

10 So it is not that control situation that
11 we had now. And we need to go quickly. On top of
12 this there's lots of other subsidies signals that
13 are being there that are really relevant. So we
14 need to change. To what extent this step has to
15 be -- how quick it has to be we don't know. But
16 there are ways to start with and this is what we
17 want to do going forward.

18 So again, commercial we finish with this
19 in December. And now we are building -- we think
20 there are interesting things here to explore. I
21 am currently now the head of the regulatory and
22 policy (inaudible) analysis for power systems lab

1 there. We want to keep on working into that.
2 More into the practical implementations. So
3 saying okay, it would be great to go all the way
4 to the LMP but let's be realistic. So which is
5 the next step forward. How much we gain with
6 this? Which is the right step to stop? Up to
7 here where fair enough. We don't create a
8 political issue.

9 We want to find this balance just
10 because we think that it is very important to do
11 it. I thank God here in the U.S. we're still on
12 time. Because things are not so fast as they are
13 for example in the European case. And I want to
14 stop here so that -- just in case in you have any
15 question. Or you can catch an early flight in any
16 case. Thank you very much and happy for any
17 questions.

18 CHAIR TIERNEY: That's fantastic. Thank
19 you, that was great. I am sure there are lots of
20 questions, comments, reactions that have been
21 provoked. So I'll start here, then there, then
22 there and then feel free to put up your -- and

1 then Nancy. So those four first and go for it.

2 MR. ADAMS: I'm going to have to ask you
3 to go back a slide. You had a wonderful graph
4 that was showing transmission capacity, charges on
5 time of day.

6 SPEAKER: (Inaudible).

7 MR. ADAMS: Yeah, it was towards the
8 beginning. There this one, network capacity
9 charges and energy charges. It's both of those
10 are relevant. I think what you're saying is your
11 capacity charges or markets or whatever. That an
12 annual capacity market doesn't make sense you need
13 to do it on time of day. And in fact, you need to
14 split amongst the different components of the
15 charges. Is that what this slide means?

16 MR. BATLLE: Yeah, so what it's saying
17 is that tariffs have to reflect, rates have to
18 reflect cost, right. And the example I was giving
19 you about Harvard is that okay. If you have the
20 amount of response participating in the -- for
21 example full capacity market. The value of this
22 the product that you are providing

1 (inaudible) provider is that. In
2 particular days of the year in the
3 polar vortex in the winter in 2014 or in
4 the summer in Boston. What you have to do is send
5 the signal to consumers that reflect that's
6 particular thing. Because if not you have part of
7 the system that can respond and it is starting to
8 respond. That is being just taking advantage of
9 arbitrage opportunity. Or you just simply using
10 the opportunity to unlock certain value from that.

11 So if this case, if the foreign capacity
12 market is rewarding the ability to help the system
13 when there is lack of supply for example. Send
14 the signal to every stakeholder in the system.
15 The new paradigm is that ideally, maybe domestic
16 customers not yet in some cases. But there are
17 lots of low voltage consumers or end users that
18 can actually react to that. And they are doing it
19 so why not send it --

20 MR. ADAMS: Do you have a vision of the
21 algorithm to calculate these charges? Cause it...

22 MR. BATLLE: We don't have any algorithm

1 -- we don't have a vision in calculating this
2 algorithm. So again, the complexity -- I can tell
3 you for example what is done in other places. You
4 can start by for example, starting by not the low
5 voltage small domestic customers. But
6 supermarket, malls and all this kind of things.

7 So you can start gradually and you can
8 implement simply time of use tariffs. Or as they
9 do in the U.K. for the large or not so large
10 industrials they say okay, we're going to allocate
11 the cost. Depending on your highest consumption
12 in this particular 50 moments in which demand has
13 been the highest in the system. I mean, as soon
14 as you count on an advance meter that is able to
15 give you the hourly consumption of the different
16 consumers.

17 It is not so complicated to send
18 signals. I agree, we of course that for my model
19 it is still very soon to do it. But not for
20 Macy's or for Kmart. And many of these guys don't
21 have those signals yet. Or they do because they
22 have

1 (inaudible) going to them and
2 saying okay or Harvard saying, no
3 can you do it. And they do it but
4 then the leakage happens all over
5 the place.

6 So we don't think that we're talking
7 about an algorithm. We're talking about something
8 simpler. But again, we're working into that. So
9 now, this is the next challenge how to practically
10 implement this. I can tell you from our own
11 experience. You take the regulator in OSHA and
12 regulator in Portugal, Italian one. They are
13 already implementing measures into this direction.

14 So it's not something that you can faint
15 just because you think about it. We're not
16 talking about algorithms yet. Although if you
17 talk with my colleague Professor Caramanis, they
18 will tell you that no, no, no, this has to be a
19 super software with a super computer. No, we
20 don't get to that point yet.

21 CHAIR TIERNEY: How many people in the
22 cue are addressing this point? Jim next, Janice

1 are you? Not on this point. Then Paul. Go ahead
2 Jim cause he's on this point and then you can.

3 MR. LAZAR: First of all I'm very
4 pleased that you expressed some of this on a
5 dollars per kilowatt hour basis. Rather than in
6 some other unit. But the thing that troubles me
7 about this and throughout the report, is at no
8 point in the report did you seem to compare your
9 recommendations with the traditional foundational
10 principles of rate design.

11 To Bonbright's principles of simplicity,
12 understandability, feasibility of application.
13 Freedom from controversy as to interpretation or
14 Garfield and Lovejoy's principles. As to insuring
15 that all loads are contributing something to
16 system costs. And this graphic really illustrates
17 that Garfield and Lovejoy principle in a very
18 troubling way. It looks to me from this, if I can
19 confine my business operations to start at 8 p.m.
20 and wind up by 2 p.m.

21 I would have to contribute absolutely
22 nothing whatsoever, to either generation capacity

1 costs or network capacity cost. Even though I
2 would be using both generation capacity and
3 network capacity to serve my business. If I can
4 confine myself to the blue only hours --

5 MR. BATLLE: No, because.

6 MR. LAZAR: That's what's mostly
7 troubling about this presentation.

8 MR. BATLLE: I agree. That's a very
9 good question. As you surely know there are two
10 kinds of costs. There are marginal cost and
11 average costs, right. What we having here --

12 MR. LAZAR: No, they're three types of
13 cost. They're four types, there's average cost,
14 short run marginal cost, there's long run
15 incremental costs and there's total system long
16 run incremental cost.

17 MR. BATLLE: -- long run incremental
18 costs are the long run marginal costs

19 (inaudible).

20 CHAIR TIERNEY: Carlos, would you just
21 speak into this.

22 MR. BATLLE: Oh, sorry. So yes, to some

1 extent as you see there is a blue part at the
2 bottom where you actually are going -- you should
3 pay the lower rate for that.

4 MR. LAZAR: But I get to hitch hike.

5 MR. BATLLE: No, no -- yeah, you know
6 what you can do. If you -- in the current
7 situation when you get this completely flat. What
8 happens is that those guys that are able to make
9 -- to have this (inaudible) consumption that
10 you're talking about. They are disconnecting. So
11 it's great, I mean obviously, I mean the first
12 thing I start studying 20 years ago was the book
13 of Bonbright.

14 But the world is completely different
15 from that. Has changed amazingly and it's going
16 to change even more. So fair enough. I mean, all
17 these things were great. And have been
18 implemented for years. But we are facing a
19 different animal, it's completely different. And
20 to some extent what we're saying is that okay in
21 those places, where there is actually a marginal
22 signal that has impact.

1 As you properly said, not only in the
2 short run but in the long run. And what we need
3 to send this signal properly, if consumers can be
4 elastic. Again, if you are in Hong Kong you don't
5 get care about good (inaudible) they don't have a
6 chance to have a solar PV panel on their roofs.
7 You can keep on doing things according to your
8 world. And you can keep on using electricity
9 rates as a taxation tool to have the rich paying
10 more than the poor. You can keep on doing this,
11 no worries.

12 But you're in Mexico for example, and
13 you have this subsidies studies that they have in
14 Mexico. And in some states in the United States
15 to some extent. You have to be careful, because
16 what's going on in Mexico one of my most brilliant
17 students at MIT, three years ago -- and it was not
18 my fault by the way. He came to me a couple of
19 years ago say, I'm making money.

20 And I said, "what are you doing?" I
21 have open a company and what I'm doing is I'm
22 going to the rich people in my country. Saying,

1 "you rich, you have a roof just install this solar
2 P panel," you making money. And you have plenty
3 of solar panels that the only reason for the
4 installation is just avoiding paying for
5 subsidies. The same thing if you go to consumers
6 and say, hey you know, this networks we build them
7 in 1935. Has costed a lot of money, we still have
8 to pay for that, okay.

9 You have to understand that your
10 grandfather was here, your father was here, they
11 used this but it will need to pay for them in
12 still

13 more years. And the rest say, okay
14 great, bye.

15 (Inaudible) marginal signal. So if
16 we have marginal signals let's send
17 the signals. And this is the
18 basics of economics because now
19 consumers have thousands of
20 choices. The ones they have now
21 and the ones that are coming with
22 this guys, CISCO guys and all the

1 super companies that are bringing
2 new ideas and new things. And we
3 don't want also to avoid this to
4 happen. We want to promote those
5 ideas, to have a more sustainable
6 system. So we need to move forward
7 into that. So yes.

8 MR. LAZAR: You haven't begun to address
9 my question. Which is this framework allows
10 customers who use consumption is in the blue area.
11 To hitch hike without any charge for the use of
12 capacity that's supplied by customers who are
13 consuming in the orange and red periods. There's
14 no assignment of any of those network costs. To
15 the consumption that uses the network.

16 MR. BATLLE: Yeah.

17 MR. LAZAR: We don't do that in airlines
18 it's cheaper sometimes. But it always contribute
19 something --

20 MR. BATLLE: No, no, yeah.

21 MR. LAZAR: -- in rental cars and
22 hotels. There's always some contribution to the

1 system.

2 MR. BATLLE: No, no, I don't have any
3 sort --

4 MR. LAZAR: Overhead.

5 MR. BATLLE: Sorry. I don't have any
6 contribution when take a room here in D.C. when I
7 come here on anything. I just pay what the market
8 is. So I'm comparing the cost of being in the
9 hotel where more or less I feel comfortable with a
10 shower. To the idea of being in the street
11 sleeping, right. So there is no allocation of
12 contribution of anything. There is market price,
13 so I don't buy your example.

14 But again, going to your question, we
15 are not saying that these guys have to pay
16 nothing. What we say, is that they will have to
17 pay up to the point where we cannot surpass --
18 because if we charge the with more, they will do
19 something that we don't want them to do which
20 would be inefficient. Whatever it takes. So
21 again, I was trying to -- sorry I didn't do it
22 right.

1 What I was trying to say with Hong Kong
2 example or in New York. Is that if they don't
3 have any other way or anything to do, right.
4 Well, we can charge everybody the whole cost of
5 the network from 1925, no problem with that. But
6 we have to be careful first not to charge more
7 than what they are going to bare. And second, on
8 the same time on the right side on the left if you
9 want.

10 Also in those places where certain
11 behaviors might simply larger course. We have to
12 send them the signal, say please do something
13 different, please. Hitch hike the system and go
14 to the hours. Because you are the one to force us
15 to change these (inaudible). That is a lot of
16 money when can have (inaudible) other doing things
17 that can avoid us those costs.

18 And we need to do that this is, I mean,
19 is so basic economics that. Now how we do this,
20 how we solve this social issues? Fair enough we
21 have to explore this carefully, but don't say no.
22 Bonbright things where Bonbright -- I mean,

1 Bonbright died some years ago. And he couldn't
2 even imagine he was not Fred Schweppe again MIT.
3 So he could have envisioned LMP's before they
4 happen and stuff. He was a rather simple context,
5 I think.

6 CHAIR TIERNEY: Okay. Thank you. Let's
7 go to clarifying question and then we go Janice,
8 Nancy, Paul.

9 MS. LIN: Thank you. Great
10 presentation. I think at a high level a lot of
11 folks would agree with the conclusions. I think
12 the really hard part is that everywhere you look
13 in our sector, it's kind of messy. And it's hard
14 and we have gobs and gobs of existing processes
15 and rulemakings. And so. I had two questions, I
16 was curious at a high level if you have any
17 preliminary recommendations.

18 Even of where to start with this
19 implementation. Like is it easier to start with
20 one or four or three? And I was also wondering if
21 you could elaborate a little bit more on item 3,
22 which was revisiting the industry structure. And

1 you said something very interesting. I wrote it
2 down. It said, "the future will have lots of
3 small locational markets and that we should keep
4 distribution companies as far away from markets as
5 possible. For example, they should not own
6 storage." And I'm wondering if you could
7 elaborate on that? It's a very interesting topic.
8 It's a very relevant where I'm from in California.

9 MR. BATLLE: I know. And I know this
10 was going to be -- it was just to warranty that
11 there will be a list of questions. So on the
12 first thing, what do we think -- a number of
13 things. Starting by the cynic approach, right.
14 And I said it before. The first recommendation is
15 take a look at to what extent you are in a hurry
16 in your particular jurisdiction, right? Okay.

17 If you're in a place where unless you
18 drive nuts like the Germans. But it is not very
19 sunny and people kind of concentrated. You of
20 course (inaudible) take your time. I mean, but
21 take a look at the need to do it quickly. This is
22 the first thing. Then assuming that you find

1 places like California for example where it might
2 make a lot of sense. Then try to explore and this
3 where what we're trying to do now. And this is
4 why we are looking for companies to help us fund
5 these things is.

6 Let's start from the very beginning. So
7 if you're in volumetric tariff, let's try to
8 explore things that are peak coincidence tariffs.
9 So to what extent this is feasible for which kind
10 of customer this make sense. So enter into this
11 evaluation, right. This is one of the
12 alternatives. Another alternative that is worth
13 exploring some jurisdictions is this even more
14 simplify, that I don't fully buy, I must confess.
15 But which would be of any kind of capacity charge.

16 So looking at for example, something
17 like which is your contracted capacity. But this
18 again, needs some kind of electronic meter to
19 limit your stuff. Or critical pre-price in time
20 of use. Something very, very simple compared to
21 the LMP's, right. And again, try to evaluate this
22 to see which the actual impact on the current

1 start of QOA's.

2 Also take into account that and think
3 about which should be the ways to compensate that
4 to. You know, you can have lump sums going back
5 and forth so the marginal signal is here or there.
6 But again, this is part of the work that we want
7 to do going forward.

8 On your second question, in 2009, I --
9 we had a requirement from the European Commission
10 to work particular in this topic. So on the
11 question of the role of the DSO. And as you know,
12 the decision of the -- why 2009, because as you
13 know the third package in the European Union was
14 the one that fully said we go all the way down to
15 full retail evaluation. No regulated tariffs, no
16 base rate tariff nothing. Just fully market
17 based.

18 As is the case for the gasolines here in
19 the U.S. And clearly, the idea was well to what
20 extent the system operator (inaudible) they work
21 on actually impact, this competition of

22 (inaudible). And for example,

1 which was the concern because there
2 was lots of customers. That when
3 they changed from one retailer to
4 another one. So from the incumbent
5 retailer from the (inaudible)
6 utility to another one. And they
7 had a problem in the transformer.
8 Quality of service distribution
9 problem.

10 They were complaining because before it
11 was fixed in two hours and then it was fixed in
12 ten hours, right. Just to give you an example of
13 things that happen. So at that time our
14 recommendation and the recommendation from the
15 European Commission. Now and the recent winter
16 package is going more or less into these
17 direction, is well, we should be very careful in
18 the way that -- because distribution companies if
19 the DSO's have lots of opportunities to really
20 influence this market.

21 Take for instance, if you are a
22 institution company and you need some

1 interruptible loads a particular region. You can
2 go and say, okay I want to pay you for some
3 response. But only if you are in my retail
4 company. That's it. So you can actually affect
5 very much this. So this why we're advocating for
6 not fully ownership on bundling. But just lots of
7 ways of monitoring.

8 The second issue on storage, is that we
9 have read lots of things and this goes back to our
10 discussion with European Commission in 2010, 2011.
11 Saying well, it is very important because
12 distribution companies know that the value of
13 storage in particular (inaudible) of the
14 institution. There might be very important great.
15 If you think that this is the case long

16 (inaudible) auction or something.

17 Say I would be very pleased to have
18 somebody starting a storage
19 facility here. And I will use it
20 under this circumstances. Why,
21 because also this allows this owner
22 of the storage to play for the rest

1 into the market.

2 We avoid having this idea of the

3 (inaudible) company managing a

4 market facility, right. Which we

5 in the wholesale market doing other

6 things. And also, because it's

7 California, right? I'm sorry for

8 the criticism but all these roll

9 out of storage, right. Say okay

10 1.30 watts of storage in California

11 is going to be (inaudible) by the

12 utilities.

13 But if I am the owner, of market based

14 (inaudible) turbine. I would be

15 really annoyed by this decision.

16 Because somebody has made

17 (inaudible) decision for a related

18 company. And the value of my fully

19 merchant plant has decreased and

20 this is a huge intervention, right.

21 Why not limit it to the market and

22 if you consider that distribution

1 networks might benefit from
2 storage. Let the market do it in
3 one way or another. And have them
4 paying what it's worth. And that's
5 it and it's part of deal.

6 So that's why we think that it is for
7 the mental health of the whole thing. To keep
8 distribution companies doing the work of
9 distribution system operation. And for the rest
10 leaving the market and keeping the separation.
11 And we don't see any single reason why this
12 shouldn't be the case. And I have this discussion
13 last Thursday with the Italian regulator. But
14 it's not under certain circumstances, only for
15 those -- why, why not saying I need it please
16 somebody build it. And I will pay it on a PPA
17 whatever on a longtime contract whatever. This is
18 our point.

19 CHAIR TIERNEY: Terrific. Nancy then
20 Paula and Carl.

21 MS. PFUND: Really interesting
22 presentation. And I have -- I think the notion of

1 locational strategies and the comparison that
2 you're making are hugely useful. And yet you also
3 recognize that they're people that just want to do
4 what they want to do. And you suggest kind of
5 using incentives and taxes and such to kind of
6 work that out. I'm a little bit surprised and
7 maybe this is more of a suggestion than a
8 question. When you have the slide of who
9 supported this work, your consortium. I didn't
10 see any of the new entrants on that; and so, by
11 definition, you're already setting up a division
12 as a result. Yeah, no new entrants on that.

13 MR. BATLLE: You have Draper?

14 MS. PFUND: Draper -- I mean companies
15 like Sun Power or Tesla -- the people that are in
16 the mix and taking market share. And, so, I guess
17 one question is why? Because now, you're -- they
18 don't care that you're from MIT, they want to be
19 involved in this and so they're going to question
20 your assumptions. And the fact that you're, you
21 know, you're at MIT is irrelevant to them.

22 MR. BATLLE: Full transparency in to

1 that, okay? And since you're recalling it, you
2 can contest to what I'm saying, we have lots of
3 conversations with EnerNoc and we had also
4 conversations -- and it is in the advisory
5 committee here, right -- so, finally we realize
6 that to have a minimum level of participation into
7 that, okay -- there companies are unable to fund a
8 single penny, right. So what if we included them
9 in the advisory committee, so we had people from
10 Opower, people from EnerNoc, people from other
11 companies, and --

12 MS. PFUND: I understand that, but
13 that's not my point. The point is that in order
14 for all of us to make progress, we need to be
15 inclusive, and an advisory committee is not the
16 same as the people that fund the work; and you're
17 just setting yourself up for your assumptions
18 being challenged.

19 MR. BATLLE: No, no. Let me clarify,
20 and I appreciate a lot of your question because
21 this is very important. The advisory committee
22 have --

1 MS. PFUND: Especially because MIT has
2 done work that the industry really doesn't value
3 and doesn't like.

4 MR. BATLLE: No, no. Let me finish; and
5 again, Paul can correct me if I'm wrong. You said
6 that the advisory committee is the key part of the
7 whole thing. The companies got the results two
8 days before the rest of the other people. Do you
9 have a word -- these guys --

10 MS. PFUND: Again, this is not the list
11 that they would want. You need to do a better job
12 in the future of bringing in the folks that are
13 really on the frontline; and again, that's the
14 world I live in and, again, it has nothing to do
15 with the quality of your work, it's just -- be
16 smart.

17 MR. BATLLE: No, no.

18 MS. PFUND: -- be smart, and bring these
19 people in next time. That's all I have to say.

20 MR. BATLLE: One is as smart as
21 (inaudible). I mean, I was born
22 the way

1 (inaudible); but, I mean, no listen

2 --

3 MR. PFUND: You're just setting yourself
4 up -- okay --

5 MR. BATLLE: Let me answer you this.

6 MS. PFUND: No. Just do better the next
7 time.

8 MR. BATLLE: Opower is a new company --
9 I know it's not a new company -- but Opower is one
10 of them. I tell you --

11 CHAIR TIERNEY: Okay, let's give him a
12 chance to finish. Everybody's going to agree to
13 disagree.

14 MS. PFUND: It's just to be smart in
15 getting policy done, you need to be inclusive from
16 day one because they're just going to say, yeah,
17 of course you come -- and maybe they agree with
18 your findings. I have no idea.

19 MR. BATLLE: I am telling you that we
20 were inclusive from day one and not only from day
21 one --

22 MS. PFUND: You're not, because you

1 don't have the new entrants on there.

2 CHAIR. TIERNEY: Okay; let's move on to
3 the next topic. There's a disagreement on this
4 point. Thank you. So, Paul?

5 MS. PFUND: Sure. But I think what we
6 need to do is be respectful that these are the
7 players that are creating billions of dollars of
8 market value.

9 CHAIR TIERNEY: Nancy, you have said
10 that now 20 times, and we absolutely hear it.
11 Absolutely hear it.

12 MS. PFUND: But he's not accepting it.

13 CHAIR TIERNEY: We hear it; the
14 Committee hears it.

15 MR. ROBERTI: Let me try to -- I
16 actually want to follow up on what you're talking
17 about -- more of a comment along with what Nancy
18 said. Going back 25 years ago, I remember when
19 the most powerful utility was the telephone
20 company, and they had a copper network with
21 twisted pairs into everybody's home. Now we're
22 years later, we're in this age of

1 technology. All sorts of tremendous things are
2 happening, and one thing I recognize as a consumer
3 advocate that went to public hearings -- hundreds
4 and hundreds of public hearings. Sue you were a
5 witness in many of those cases, and then set on
6 the bench for seven years -- I underestimated
7 technology. I totally underestimated it; in fact,
8 I was wrong and it bothers me. So, now here we
9 are in 2017. We've got all of these tremendous
10 things going on; and I look at this page, and I
11 force, I come up with a term that I call the
12 hardwire centric view of the world.

13 Everyone on this page is connected to a
14 business case that relies on a network, but what
15 we fail to do, and you've heard that analogy --
16 that new, I think it came from, I just heard
17 somebody speak from the military at the NARUC
18 meetings -- he said, oh it's the cheese.
19 Everybody's going to the cheese; the cheese is
20 over here.

21 I wonder if the network centric view of
22 the world is actually the right view -- and a

1 couple of points on this. The telephone network
2 went away even when the companies, the RBOCs, that
3 we're still trying clinging to that network,
4 doubled-down, and replaced the twisted pair, the
5 copper twisted pair, with fiber. Had they known
6 what the world would be today, with wireless
7 technology, they would never have spent the
8 hundreds of millions of dollars, at least in my
9 state.

10 When we look at this situation -- I want
11 to take it to a comment that you made about
12 deployment of utility-scale storage, because I
13 think storage -- as I sit here today, and looking
14 at the cost curve of solar, I think storage is
15 going to follow a cost curve that's even more
16 exponentially down, because I would be ignoring
17 history, ignoring the way technology is
18 developing. And you said that the utility today
19 should be doing the work of distribution system
20 operation and maintenance, as is if that's all
21 they should care about; and what I say, right now,
22 is the utility may be in the same struggle for its

1 life that New England Telephone & Telegraph was in
2 20 years ago. And this whole notion that we want
3 to take Bonbright's principles and the archaic
4 principles of utility regulation in this day and
5 age and force customers to react to these
6 time-of-use pricings. We want to force customers
7 to do things -- engaging behaviors that they're
8 not interested in. And I know, because we wanted
9 customers to call between 3 and 5, we wanted to
10 give a discount -- we wanted to do all of these
11 things; and thank God, technology got me to a time
12 and a place where I don't have to worry about
13 that; I don't have to care about the network
14 capacity on some cell tower; I don't have to worry
15 about when I call, where I call, anywhere in the
16 world, I've got a flat price. And to think that
17 the psychology -- and in all these years, the
18 psychology of consumers, the psychology of the
19 people are the one thing we always miss. The
20 inputs economics, engineering, environmental
21 impact, but we miss the zeitgeist. We were
22 talking about this yesterday. What consumers are

1 thinking; what consumers want. Consumers -- while
2 in this room, we all would want to engage in some
3 pilot that probably will never go to commercial
4 scale; and there're tons of pilots out there;
5 there's one going on in Worchester, Massachusetts
6 -- but when you try to force consumers to do
7 things like behavioral changes in the home that
8 they want to check right now what's going on with
9 the thermostat, the average consumer doesn't want
10 to do that. I know this because I appeared in
11 probably, I don't know, 500 public hearings; and
12 the people in this room don't actually reflect the
13 average consumer.

14 So, why shouldn't the utility be looking
15 for utility-scaled deployment of storage because
16 they can do it so much cheaper than a particular
17 customer at a granular level no different than
18 roof-top solar that they are economies of scale
19 that the distribution system, the distribution
20 operator can deploy and actually maybe stay in the
21 game and not lose its business altogether?

22 MR. BATLLE: May I, because --

1 MR. ROBERTI: Anyways, I've said enough.

2 MR. BATLLE: No, no, you've said tons of
3 things. Let me tell you something. I fully sign
4 under your statement. I fully agree with
5 everything you said; so, I don't see -- maybe I
6 didn't miss something -- but I didn't really
7 transfer the message well because what you said I
8 buy it 100 percent. Things that I remember are
9 the many things I should have. I said one thing
10 about distributor storage. What I said is right,
11 exactly this. If the utility wants to do it --
12 it's up to them -- let's change the way that they
13 are remunerated; and if this is good and they save
14 money out of that, perfect; but we're not saying
15 that it has to be mandated; and I was criticizing
16 the mandate in California. So, I fully agree. On
17 the flat tariffs, you are using an analogy that is
18 not good as possible with telecomms and
19 electricity. When telecomms were, the networks
20 were saturated -- I mean, were congested in the
21 beginning -- we had different rates. Because now
22 the thing is that now the value that you get from

1 this telephone is not the network, or it is very
2 irrelevant; it's all the services that you are
3 getting. So, going back to the comment that was
4 made before, if the marginal value of the network
5 is zero, you don't have to charge anything for it.
6 So, it will be ideally the same situation that you
7 are talking about with the cellphones. If there
8 are certain locations where this is the case that
9 everybody wants to use the network and its
10 forcing, or is stressing, that you need more
11 costs, and consumers, for some reason don't have
12 PV panels so they can -- other alternatives to do
13 something -- well, you have to tell them, this is
14 the way.

15 What we're advocating for is to give
16 consumers the choice. And don't forget one thing
17 -- I fully agree with what you said, but look from
18 where we come from. So, all your criticism --
19 which I fully by -- is in situation where now
20 we're being charged irrespective of what we do.
21 We're being charged of costs in Mohawk from Rhode
22 Island that we don't have anything to do with that

1 because somebody had said we would have to do
2 with. Like, we don't say, no, no; we have to move
3 towards the world that you are envisioning that is
4 fully that one. So, I think that what we are
5 advocating for is going into that direction; and,
6 obviously, one of the messages that some utilities
7 don't like is that eventually this might mean that
8 nobody is going to pay for networks -- probably
9 good. This is a political decision; we're not
10 entering into that, but good luck.

11 MR. ROBERTI: One comment, follow-up, on
12 the Mexico example. I work in Mexico, and the \$6
13 billion annual subsidy that the Treasury pays to
14 subsidize the residential bills -- in Rhode
15 Island, you could say the same thing happens. 40
16 cents a kilowatt hour for a solar panel, when
17 Mexico just did auctions and the average price for
18 renewables without any ITC/PTC, maybe a little
19 bonus depreciation --

20 MR. BATLLE: \$24.00

21 MR. ROBERTI: -- came in at -- yes.

22 MR. BATLLE: \$24.00

1 MR. ROBERTI: So, just about that, the
2 subsidy -- perhaps that's why we have this problem
3 in the first place. That's another --

4 MR. BATLLE: That's why we're advocating
5 for auctions for the subsidies. We are saying,
6 no, no, don't just -- if you want some solar, say
7 who gives it to me cheaper. But this is not the
8 U.S. This is happening not only in Mexico. It's
9 happening in Mexico, and Morocco, and Germany, in
10 France, in Chili, all over the place. So, yes, we
11 agree with.

12 CHAIR. TIERNEY: Great, Paula?

13 MS. CARMODY: Thank you. I'm not going
14 to try to repeat. I represent a residential
15 consumer advocate office in the State of Maryland,
16 just to give some context to my own comments; and
17 they probably tie into what Jim Lazar and,
18 certainly, Paul Roberti over there has talked
19 about. But I don't want to repeat or reiterate
20 it, but they do raise very real concerns; you
21 know, certainly that an office like mine
22 represents 2 million households in the State of

1 Maryland and that's kind of where my focus is.

2 And I think the kind of the discussion
3 that's been going on and very much appreciate your
4 presentation, but one of the things that we always
5 end up scratching our heads in the consumer
6 advocate world is with all that, you know -- there
7 is, and I understand it -- a total focus on
8 economics, and sort of I get it; but we do live in
9 a very real world, and it is a world where
10 Bonbright principles -- even though you may think
11 of them as outdated -- actually have some very
12 real meaning to our consumers; and I'm not going
13 to repeat what, you know, Paul has just said. I
14 think they have to somehow be accounted for when
15 we're doing all of these kinds of studies.

16 And, I think, Nancy was talking about
17 kind of lack of presence of other types of
18 companies, but one thing -- and it's really what I
19 am going to focus on -- is a question, perhaps or
20 a comment/question, as you're going forward with
21 your further implementation kind of discussions
22 and more kind of looking at practice, is there

1 ever any discussion, when everybody's focusing on
2 the economics, of trying to mesh all of the work
3 that you're doing with kind of, I don't know --
4 are there other parts of MIT, or other kind of
5 academic studies, or bringing people in from the
6 other world talking in the sense about, partly
7 about behavior of, you know, kind of the
8 consumers, or impacts of the consumers? I mean
9 what Paul has said is just a very real issue. We
10 have seen it, you know, seen it in all sorts of
11 worlds. I've seen it most recently. We have
12 energy suppliers, and when you're talking about
13 that polar vortex, people, you know, not
14 responding to variable rates and getting hit with
15 \$2,000, \$3,000 bills because they didn't know they
16 were supposed to respond to a variable rate, you
17 know, as a household.

18 So, I question -- there are health, when
19 you talk about the polar vortex and kind of the
20 extreme heat, extreme cold -- folks cannot, you
21 know, that elasticity is not there. There's a
22 real health issue, a real, like, social issue.

1 So, what I'm trying to say in a long-winded
2 fashion is when we're always kind of focused on
3 economics in terms of rate setting, it doesn't
4 exist in a vacuum. Households, in particular,
5 don't kind of respond the way you think that they
6 should respond, thoroughly don't respond as
7 quickly.

8 So, how do you as academics -- and doing
9 these kinds of studies -- kind of bring in maybe
10 some real world discussions into the world; and
11 also, I think, part of that real world discussion
12 is when you're talking about people setting policy
13 at the federal level, state level, local level.
14 This is in terms of laws that are passed, taxes,
15 and so forth. Is what you're really talking about
16 is potentially kind of changing the way you change
17 rates and the rate, you know, this kind of energy
18 regulated world; but they will have impacts over
19 here, and you're doing it in a silo over here and
20 you not tying it into, or you're going to have to
21 change tax policy or regulatory policy, or, you
22 know, social policy.

1 So, the question is, is there any
2 thought given to that kind of intersection or
3 cross academics, you know, studies; and if you're
4 not, I would actually kind of recommend it because
5 --

6 MR. BATLLE: No, let me, I understood.
7 First thing, let me dispute the word academic, I
8 don't embrace it much. Myself and my team --

9 MS. CARMODY: I wasn't --

10 MR. BATLLE: No, no, no, no, but it's
11 important; it's important because we are trying to
12 run away from that. We clearly have done a work
13 that reflects the trajectory that we have that is
14 very much practical. And let me give you what I
15 was thinking listening to you is, I spent too much
16 time -- I mean, very happy here in the U.S., but I
17 still take some time in Europe -- and it is
18 fascinating to listen to the message as an
19 advocate for consumer that you are bringing here
20 compared to the one that comes from your peers in
21 Europe currently now, which is right the opposite;
22 and I will try to explain you why.

1 In those places where you have huge
2 amounts of, for example, solar PVs (inaudible),
3 most consumers are really complaining about
4 (inaudible) the country, which is a
5 problem. It's like we are, the
6 ones who have not the choice of
7 having a solar rooftop in our
8 roofs, since we have a flat tariff
9 and everybody pays the same, we are
10 paying for the use of the networks
11 that these other guys are making.
12 We want a solution.

13 There is something else on top of that
14 of this situation that I do discuss with them very
15 often -- I spend a lot of time in Brussels -- and
16 they say, it should be socialized to some extent.
17 So it should be the government who pays for this
18 as if the government is a third party, but they
19 argue this. And they argue something else. This
20 is something that can happen in Europe because
21 governments -- according to Lisbon Treaty -- are
22 not allowed to pay for this yet.

1 So, which this what I want to try to
2 tell you is that we are talking about Bonbright,
3 and something that we need to move from, because
4 we don't envision that this will be a problem for
5 consumers going forward. You can see it in
6 Europe. Take a look at what's going on in Europe
7 and take a look at what's happening there, and the
8 social problem that is starting, and the example
9 of Mexico was alluding to that direction; because
10 until now, we're all consumers, we are all the
11 same. We have the same choices, had the same
12 opportunities; we couldn't go anywhere else, but
13 now we are very different.

14 We're different depending on where we
15 are, how the network has been available next to
16 our places, and there will be lots of unfair --
17 from the perspective of consumers -- solutions if
18 we don't try to sophisticate a little bit our
19 policy, our regulations. And this is what we
20 firmly believe on, and it's not a question of
21 thinking, it's happening already in many places
22 where they -- the rural development (inaudible),

1 development is in another galaxy compared to the
2 U.S. This is actually an issue.

3 So, this is why we are saying that we
4 need to move into. Now, to what extent, how to do
5 it to keep these balance, I started by that
6 saying, clearly we have to make an effort in
7 keeping the balance between all the social things
8 that are behind it; but we can't keep on thinking
9 our utility rates as a tax; and this is what is
10 under the fairness concepts of Bonbright and many
11 others.

12 MS. CARMODY: Well, one thing, I wasn't
13 suggesting in my comments that, you know, that we
14 just stay doing what we're doing and no changes;
15 but what I am suggesting, you know, is that these
16 other things do need to be taken into account. I
17 understand what you're saying about these things
18 are moving, and so we do need to take a look at
19 these things, but I always do get the sense that
20 you're saying it is consumer driven, it is
21 consumer driven in this country from certain
22 quarters but not, you know, not from all quarters.

1 So, I would just simply suggest -- I mean, I do
2 get the sense that there are other factors that
3 are not being necessarily taken into account that
4 need to be taken into account to achieve that when
5 you're talking about kind of balance, you know.
6 Some states may go, you know, this far, others are
7 going to go this far; but that is really important
8 to acknowledge that -- and also the intersection.

9 The reality is, is that in this country,
10 we have used kind of rates, you know, as a
11 substitute for taxes. I, in fact, have stood in
12 front of our state commission and said, this X --
13 you know, whatever policy -- should be under a tax
14 policy; but it's not going to happen. So, we're
15 going to have to use the rate structure. I mean,
16 this has been built up, it's decades old. So,
17 part of the discussions that do have to take place
18 is if you're going to be making these changes over
19 here, what's going on over here in the other
20 arena; because if you just do it over here, and
21 you're not making changes over here -- whether
22 it's tax, you know, some kind of external

1 subsidies, or whatever it is -- there will be some
2 fallout. So, those were only my kind of
3 suggestions to you and, at least, it always need
4 to be thought.

5 MR. BATLLE: And I fully agree with you.
6 I mean, this is a crucial issue; and again, it's
7 not the same thing discussing this in the
8 California context with the Californians behind
9 that having this discussion in Texas or doing it
10 in our council, clearly. This is where I started
11 from. Try to guess where your consumers can go,
12 up to where they can go; how diverse they are, and
13 then think about the need of hurrying up or not.
14 Maybe you can give the whole thing and nothing
15 happens; but, in many cases here in the U.S., you
16 will have to do things, and quickly, I think; but
17 maybe I'm, surely we're wrong.

18 CHAIR TIERNEY: Carlos, you have a great
19 job of doing what you said you did when you did
20 this report. You said none of your sponsors were
21 happy.

22 MR. BATLLE: Susan, let me say one

1 thing. Just to answer -- I know we don't get the
2 agreement; but honestly, the ones that have
3 reacted in a better way and you can understand it,
4 are precisely this what I think is the new
5 entrants. So, we had conversations with Google,
6 they're in campus next to us; with EnerNOC, with
7 Opower. These companies are the ones saying, yes;
8 but, obviously, some others, like, because they
9 say, we want complexity; so, okay, perfect for
10 you; fair enough, but these are essentially the
11 ones that are happy with this, and it's certainly
12 not the utilities.

13 CHAIR TIERNEY: All joking aside, thank
14 you. This was extremely informative, provocative,
15 thought-provoking -- I mean, it was wonderful; so,
16 thank you --

17 MR. BATLLE: Oh, thank you.

18 CHAIR TIERNEY: -- Thank you so much for
19 joining us. We appreciate the push -- the
20 intellectual push; and with that it's a great
21 segue to introduce the Chair, the second-time
22 Chair, of the FERC, Cheryl LaFleur. We are so

1 appreciative that you have found time to join us
2 today, and you have always contributed great
3 remarks to the Advisory Committee; so, thank you,
4 for being here.

5 MS. LAFLEUR: Well, thank you very much,
6 Sue. Thanks for having me, and it's great to see
7 such a great group and so many familiar faces
8 around the table; and I'm sorry I missed most of
9 the MIT presentation.

10 I have with me Jessica Cockrell, who is
11 sitting next to Larry Mansueti, that's with the
12 smart people's table, there. She is an advisor in
13 my office; has joined me since I've been acting
14 chairman; she was in the policy office of FERC for
15 years before that. So, standard
16 disclaimer -- I don't

17 speak for FERC, only for half of it; and
18 I will try very hard not to talk about pending
19 adjudicated cases, but I'm mostly going to talk
20 about our rulemakings which are not covered by the
21 ex parte rules.

22 As Sue alluded to, I'm in a new

1 position, two months ago, even in my rather
2 non-standard FERC stint, this has been the
3 strangest plot twist; and I used to have a boss
4 that said, this will add a line to my obituary and
5 hasten its appearance. But, here I am. So, I'm
6 sure everybody in this room of FERC followers
7 knows that we lack a quorum, and we have since
8 February 3rd. All kidding aside, I was surprised
9 and disappointed that Norman left so rapidly. I
10 wasn't surprised he would leave at some point; but
11 we are where we are.

12 We normally put out about 100 orders a
13 month. We delegated some additional authority to
14 FERC staff primarily to protect customers so that
15 somebody couldn't kind of come in and increase
16 rates and have it go into effect without
17 Commission review. Most of the extra delegation
18 we gave staff was around customer protection.
19 Staff has issued 33 orders under their
20 newly-delegated authority of which about half of
21 them require us to come back and do something.
22 So, even with those numbers, we're building up

1 quite a backlog; and we are working, I'm working
2 -- I feel like my job here is to keep things
3 moving with Collette -- Commissioner Honorable and
4 I are trying to keep things moving; and organize
5 the triage of pending cases as clearly as we can
6 so when FERC 2.0 arrives, they will know what's
7 most time sensitive, what's been pending, and so
8 forth. Obviously, we want a quorum as soon as
9 possible. We've been hearing for some time names
10 are imminent. I hope that's true.

11 A lot has been made -- I think my
12 predecessor used to talk a lot about the low
13 number of dissents at the Commission. I mean
14 that's numerically true; but when you look at the
15 more policy-driven, or the more controversial
16 things we work on, I think the low number of
17 dissents doesn't reflect unanimity of thought, but
18 rather the excellent job that our staff does in
19 finding the middle ground and bringing us to
20 something we can agree on. I generally say I'd
21 rather get it 20 percent my way than write
22 something stirring. And so, with that in mind, I

1 am at least personally quite optimistic. I can
2 work with the new people as long as they're energy
3 people, and continue to find where the sense of
4 the Commission is and look forward to having the
5 opportunity to do that. I do plan to serve out my
6 term. When you go in -- I'm sure that you don't
7 hang around the FERC picture library on the second
8 floor -- but if you go by the Sunrise Cafe,
9 there's like a little gallery where there's
10 pictures of the guys with the mutton-chops on the
11 Federal Power Commission in the 20s -- and
12 underneath my picture it already says like,
13 Commissioner, Acting Chairman, Chairman,
14 Commissioner. So, they've used up the little
15 plaque; so they're going to have to put another
16 one for all my new series of titles.

17 One of the things -- over the last year
18 -- under Chairman Bay's leadership, the Commission
19 has undertaken a number of rulemakings and
20 open-policy inquiries; and I'm going to only
21 comment on some of them -- the ones that really
22 relate to electric markets and transmission; but

1 there's also, you know, the length of hydro terms,
2 how we handle master-limited partner taxation, and
3 lots of other things that are pending. And a big
4 piece of what we're trying to do -- Collette and
5 I, and the staff -- is to build the records for
6 these rulemakings so we can shape the policy
7 options in as transparent a way as possible when
8 the new Commissioners get there so they can see
9 what they have before them. Obviously, a new
10 Chairman will make a decision what he or she wants
11 to prioritize. I think some of these, I expect,
12 would not be particularly controversial. Others
13 might be subject to a significant re- look. But,
14 I'm going to run through some of them.

15 The first is price formation. It's been
16 about a two year effort to really sharpen up the
17 rules of how prices are set in the competitive,
18 wholesale, electric energy markets -- the energy
19 markets -- to try to make sure that, to the best
20 of our ability -- they reflect the real cost of
21 keeping the lights on and so money's not going out
22 in uplift or other things that's not shown into

1 the energy price. That benefits the resources
2 that are there keeping the lights on. So, we've
3 already finished shortage pricing and the offer
4 caps. Those went to final rule; obviously,
5 subject to rehearing. Without checking I would
6 bet anything they're both subject to a hearing;
7 they both have received rehearing requests; but we
8 have in the proposed rulemaking stage a notice of
9 proposed rulemaking on fast start resources that
10 just went out in December for making sure that
11 when a market has to call on the sorts of things
12 that has to ramp up quickly that the whole cost is
13 somehow reflected in the energy cost; and a
14 lengthy rulemaking on uplift cost allocation --
15 who pays for the uplift that went out in January.
16 Those are now teed-up; we're getting the comments
17 in to get them ready to take the next step.

18 Second thing I want to mention is
19 storage and distributed resources. I believe it
20 was just in January, we issued a notice of
21 proposed rulemaking on storage and distributed
22 resource aggregations; and it was really -- I

1 believe, we called it the storage rulemaking, but
2 it really had two, somewhat differentiated, parts.
3 The first was on pricing energy storage in the
4 wholesale markets, and it really built on a record
5 that we had built over some time with having
6 storage providers into open meetings, sending out
7 a request for comments, reaching out -- I think
8 staff had reached out to each of the RTOs for how
9 they price things; and what it basically does is
10 proposes a participation model for energy storage
11 seeking to make sure that the different market
12 tariffs and rules don't erect barriers to any type
13 of market product or service that storage can
14 provide. So, in some markets they are limited to
15 regulation, or if they do this, they can't be in
16 the other market. We're trying to -- if storage
17 can help as energy, help feed-in, help as load,
18 help as demand response -- to try to unlock the
19 different uses of storage. It's easy to say but
20 can be complicated to work to make sure there's
21 not double payment and make sure the tariffs work;
22 and that's the first part of the rulemaking that

1 attracted some controversy; but, I think, it
2 largely seems rational to people, let's use
3 storage as best we can.

4 The second part of the rulemaking is on
5 distributed energy resources, including
6 distributed storage, but not limited to storage.
7 Obviously, I'm sure it probably has already been
8 discussed -- a lot of distributed solar and other
9 distributed resources. And what that part of the
10 rulemaking did was called upon the RTOs and ISOs
11 to work out the various tariff provisions to allow
12 those distributed resources, which are primarily
13 on the customer side of the meter, on the
14 distribution side, to aggregate and bid in as
15 wholesale resources.

16 This is pretty closely patterned on
17 something the California ISO had filed at FERC and
18 gotten approval for last summer. The California
19 ISO as part of the CPUC storage mandate; is trying
20 to aggregate storage; and figure out how to price
21 it and dispatch in the market, and they're well on
22 the way to figuring that out; although I don't

1 believe the aggregators are actually bidding in
2 yet, they're still working a lot of the rules.

3 This part of the rule, I think, has
4 attracted a lot more controversy than the first
5 part. I had put out a statement when we issued
6 the rule that I was, and remain, concerned about
7 making sure we get the operational rules right.
8 If you're actually feeding through the
9 distribution feeders, back to the grid, as opposed
10 to just reducing load to shave peaks, I think we
11 have to make sure we have figured out the rules of
12 how the distribution control center -- because
13 distribution systems are more dynamic than
14 transmission grids -- how that control center
15 talks to the transmission control center, talks to
16 the ISO. And some of the comments that we got
17 were around those sorts of issues.

18 We also got a lot of comments about are
19 we stepping into state jurisdiction; can states
20 opt out of this under Order 7.19 as they could opt
21 out of demand response; how is this going to work;
22 will things be double paid, we got a hundred sets

1 of comments. We're just really digesting the
2 comments, but it would not surprise me if the two
3 parts of the storage rule went on different
4 trajectories. I think we might need to build a
5 little bit of a record on the distributed resource
6 aggregation. I do think -- I don't have a crystal
7 ball -- but I think we'll be seeing more
8 distributed resources in the future than we have
9 now, not less. So, we do need to figure this out.
10 We need to leverage what they're learning in
11 California and figure out how to do this. So, I
12 think it's well worth the Commission working on,
13 but we got quite a lot of comments about the speed
14 with which we were going, so we'll have to take
15 those on board.

16 The next big hot potato is transmission
17 competition. We had a two-day technical
18 conference last summer on what has become of Order
19 1000. Is it doing what it was supposed to do; do
20 we need to do more? Really focused on five areas:
21 What projects face competition; where the right of
22 first refusal applies and doesn't reply. If you

1 recall back, my goodness, six years ago when Order
2 1000 went out, it did two different things. One
3 was beef-up the rules for transmission planning
4 and cost allocation; and the second was to
5 introduce more competition into the transmission
6 world. There's been a lot of the energy, over the
7 last seven years, has been put into refining what
8 are rules of what faces competition and what
9 doesn't.

10 Second is how cost containment is
11 considered in bidding. What we've seen where
12 there have been competitive windows is all kinds
13 of innovative proposals to have cost caps, even
14 have cost caps including return; having just
15 construction cost caps; what are the reopeners;
16 how are the ISOs supposed to compare these. It's
17 very good for customers to see things come in cost
18 capped, and we've seen much more cost competition
19 than some might have thought in the things that
20 have been competitive bid; but we have to make
21 sure we're doing it fairly.

22 Third is transmission incentives; the

1 fourth is competitive bidding. There are
2 different models the different ISO have; and the
3 fifth is should we be doing more on interregional.
4 The Order 1000 was very, very soft on
5 interregional. This required coordination between
6 regions. It kind of was to interregional what 890
7 was to regional planning. Are we ready to take
8 the next step or not?

9 As reflected in a lot of the separate
10 statements I've put out, my interest here is in
11 the nexus between competitive bidding and what
12 gets bid out and what's subject to a
13 right-of-first refusal and transmission
14 competition. I'm concerned that because people
15 want to avoid having things competitively bid,
16 that Order 1000 not have the unfortunate effect of
17 chilling transmission, big transmission, because
18 people want to make sure they do the kind of
19 projects that they don't have to bid out, and I
20 think that requires close watching; and, I think,
21 before we add to Order 1000, we need to make sure
22 that the first one is, to the best of our ability,

1 doing what it was supposed to do and, I think, it
2 has not done, in my view, as much as we thought it
3 would. We have seen some competitive windows; we
4 have seen some transmission planned; but, I think,
5 it's a good time to take a look at, is it doing
6 what it was supposed to do and, if not, what do we
7 do about it.

8 Third big area is generator
9 interconnection. It's been a long time since the
10 Commission sent out its interconnection rules.
11 We'd heard from the wind industry and others that
12 there were barriers to new technologies in the
13 interconnection rules; that there were a lot of
14 arguments about late-stage interconnections, and
15 withdrawals, and how you cluster things, and who
16 paid what to whom for what; and so, we reopened
17 that extremely complicated set of rules again to
18 see whether we could reflect what we've learned in
19 all these years of running the old interconnection
20 tariff and do it better; and we took a lot of
21 comments on those. The comment period was
22 extended until April 13th; and we're still hearing

1 a lot to figure out how do we tighten or tweak the
2 interconnection rules to make them work better.

3 The next area I want to mention -- a
4 little bit different -- is the Commission's use of
5 data. We do have a rulemaking pending on the
6 relational database, which started as the
7 connected entities rulemaking and then we reissued
8 another notice of proposed rulemaking. Two
9 different things were going in parallel. One was
10 changing the market-based rate rules -- what we
11 require people to file and in what form; and the
12 second was a proposal to require considerably more
13 filing of information with the Commission on
14 corporate families and connected entities that
15 would help the enforcement effort in making sure
16 that cross-market manipulation, and other things
17 could be identified.

18 That attracted a substantial amount of
19 comments and was pulled back to a new proposal,
20 which was a combined database that would do the
21 market-based rates and, part of what the
22 connection entities was supposed to do that went

1 out, and that's pending now; and that's before us.
2 And I had issued a separate statement in the
3 beginning on the connected entities one.

4 But that's an example of a larger
5 phenomenon that I think under Chairman Bay's
6 leadership, the Commission really improved its
7 ability to analyze data and taking in more
8 information in the quarterly electric reports,
9 E-tagging information; more information from
10 market-based rates; more of the reliability
11 information. I mean it's more of a data world. I
12 mean every conference you see across your screen
13 talks about data analytics. So, it makes sense
14 that the Commission would also be using more
15 analytics and making decisions, rather than just
16 fights between lawyers, pieces of paper.
17 Although, God, who could not love lawyer's pieces
18 of paper?

19 But to me it raises a lot of rules, a
20 lot of questions that we need to mull; you know,
21 if we're using more data, how do we assure due
22 process and ensure things are shown in the record;

1 what about if these things are confidential; what
2 do we keep confidential; what do we not keep
3 confidential; how can we use confidential things
4 in making decisions? And I just wanted to put
5 this on the radar screen of the brainiacs in this
6 room because I think this is a growing issue not
7 just for the FERC, but for other Commissions of
8 how data and numbers are used in making regulatory
9 decisions.

10 The second to the last one I'll mention
11 is PURPA -- good old PURPA. We did have a tech
12 conference on this as well; and after the tech
13 conference, out of the mass of testimony in all we
14 heard, we pulled out two things to take more
15 comments. One is the one-mile rule. You know,
16 that you could have a PURPA machine a mile apart
17 and it would count as a different machine; and the
18 second is the contract term. I was just reading a
19 summary of comments on that, of course, heard a
20 lot from folks.

21 There's also talk going on, on the Hill
22 about this -- trying to see if there is anything

1 sensible we can do to tighten our PURPA
2 regulations. I think some of the commentary we
3 heard at the tech conference went to the whole
4 concept of whether PURPA, itself, is needed in a
5 world where we have production tax credits and
6 renewable portfolio standards, and sharply
7 decreasing costs for certain of these
8 technologies; and I believe, those are valid
9 questions; however, they're questions that really
10 should be addressed to Congress, which reaffirm
11 PURPA as recently as 2005, so FERC can't make its
12 own decision about its current necessity or
13 relevance.

14 One message we heard loud and clear and
15 repeatedly in the tech conference was that the
16 combined heat and power people still very much are
17 reliant on PURPA because they can't site a mile
18 apart. They're in an industrial facility and that
19 payment stream is very important to them. That
20 message came through loud and clear; but as far as
21 the wind turbines a mile apart, there was no
22 consensus developed at the tech conference. But,

1 that is here for FERC 2.0. If they feel like
2 opening Pandora's Box, it will be all lined up for
3 them.

4 Final thing I want to mention is on kind
5 of the FERC issues teed-up for the new Commission
6 is the very complicated and, in my mind, extremely
7 interesting question of market rules and state
8 initiatives to choose resources. And I have to be
9 careful because we have a lot of pending
10 complaints; although our pending complaints here
11 are in New York where the Independent Power
12 Producers of New York has filed a complaint at
13 FERC against the zero emission credits for the
14 upstate nukes in New York; and also in PJM where
15 the Electric Power Supply Association is
16 challenging the Illinois nuclear credits. To the
17 best of my knowledge, as of 11 o'clock this
18 morning, there's nothing pending in ISO New
19 England, so we can talk about ISO New England.

20 But the issues are roughly parallel in
21 the different places; which is in the large
22 eastern markets reflecting decisions made by the

1 states about 20 years ago -- exactly 20 years ago
2 in the case of Massachusetts, and I think 21 years
3 ago in Rhode Island; PJM just had its 20th
4 anniversary last week, or maybe earlier this week
5 -- so about 20 years ago, some of the states
6 decided to introduce competition into the
7 generation part of the value chain believing that
8 competition in the generation resources would
9 provide savings for customers, transfer investment
10 rates to the generators, rather than the
11 investment risks to the generators, induce
12 innovation, share resources over a broader
13 footprint -- at least in my mind, all of that has
14 happened. We've seen ISO New England, New York
15 ISO, and PJM move to a more merchant- generation
16 model which has produced greater efficiencies in
17 the plants, induced innovation in things like
18 demand, response and new resources; and, I think,
19 worked well for customers in finding the resources
20 to keep the lights on at least cost, which was
21 precisely what they were designed to do.

22 And they also, in the cases of those

1 three markets, looked to rely on a forward
2 capacity auction to send an investment signal when
3 generation was needed or resources were needed for
4 reliability because you no longer had the
5 obligation to build on the part of the incumbent
6 utility as you had before, and that was part of
7 the model; although in the beginning, they had a
8 lot of the resources built under the old world to
9 deplore. Increasingly, for various reasons, those
10 are being replaced by new resources that the
11 capacity market is seeking to incent.

12 What we have seen in a variety of places
13 for a variety of reasons is states that are not
14 happy with the choices that the markets they've
15 created are making for them. Maybe the markets
16 are causing competitive issues in units that they
17 like because the gas is so cheap and it's making
18 hard for some of the other baseload to compete; as
19 we saw in Ohio, seeking to -- a couple of years
20 ago -- subsidize the coal and nuclear units.
21 Maybe they have climate change goals that the
22 market is not optimizing because for the most part

1 it wasn't set up to optimize them with the
2 exception of the Regional Greenhouse Gas
3 Initiative, which I'll come on to in a minute.

4 The market doesn't price carbon, it only
5 prices externalities that are required to be
6 cleaned up in a command and control fashion and
7 priced into the cost stream that the generator
8 bids in; and so, states like Illinois, New York,
9 Connecticut -- I'm talking about pricing carbon
10 outside the market or requiring distribution
11 companies to buy certain resources. Maybe the
12 state wants different resources. For example,
13 Massachusetts passed a law last year wanting -- I
14 always get this wrong -- but its 1.6 gigawatts of
15 one thing, and 1.3 gigawatts of another thing, and
16 one of them is offshore wind and the other one is
17 imported hydropower; but it's about 3 gigawatts of
18 designated renewable electricity that's not
19 selected by a market; and this is causing a real
20 issue for the competitive market structures.
21 Because if you have some units that are bidding
22 into a market and the only money they get is what

1 the market gives them; and on the other units that
2 are being paid by the state, then you can't set a
3 fair market price. Obviously, we had a couple of
4 cases -- the Maryland and New Jersey cases --
5 where, you know, FERC held the line, said, you're
6 going to take the market price, okay, always nice
7 to win; but the markets only exists with the by-in
8 of the states. The states created the markets,
9 and if the markets aren't producing the resources
10 that the states want, we have to figure out why
11 and where we're going to go from here.

12 So, in my mind, there's only three ways
13 this can work out. One is that we somehow have a
14 negotiated or planned solution, or maybe more
15 likely, solutions in the different markets, not
16 something national, that adopts the market rules
17 in some way either to allow the states to optimize
18 their preferences, or to set up differential
19 payment streams for the subsidized and
20 non-subsidized, or somehow adopts the rules in a
21 way that addresses this issue. I just have to say
22 that, I think, for the states that want to do

1 carbon, this is what the Regional Greenhouse Gas
2 Initiative was set up to do -- as one of the many
3 original signators; however, the way that program
4 has been administered and the amount of carbon
5 that they've allowed has left the carbon price
6 very low and it's not the price that the states
7 were seeking to set on carbon, and I have, thus
8 far, not been able to talk any of the states in --
9 to use RGGI -- they all say the other state
10 doesn't want to it, or is politically infeasible;
11 but that is a vehicle that's there, that already
12 exist, or other ways to design markets.

13 Second way we can resolve this is
14 through litigation. There was an argument in
15 court yesterday about New York -- not in FERC
16 court, we're not meeting, we don't have a quorum
17 -- court, court had an argument on New York.
18 People have complaints filing at FERC. There's
19 always a way -- I mean, that's the baseline of
20 society -- if you can't resolve it any other way,
21 you have cases.

22 And the third way to resolve it is

1 through some sort of re-regulation where the
2 states take back resource adequacy, which does not
3 offend me if that's what they want to do; we have
4 parts of the country where that's how it works.
5 The problem is that if a state only wants to take
6 a third of it back and give us the rest, or they
7 take the clean part and we take the less-appealing
8 part -- I won't call it dirty -- but the part that
9 the state doesn't want to take back, that is a
10 little bit of a challenge; and my worry is that if
11 we don't get ahead of this, you'll have unplanned
12 re-regulation where the states will take some and
13 then the next most threatened resource will come
14 and say, I need a subsidy, so the states will
15 subsidize that; and then the next most threatened
16 resource will say, I, too, now need a subsidy; and
17 before you know it, you'll have re-regulated but
18 not in a planned way, in an expensive way, that
19 could be very messy.

20 So I'm all in for door number 1. Let's
21 figure this out, and that's why we're having a
22 tech conference on May 1st and 2nd. I don't

1 believe that we will have white smoke come out on
2 May 2nd at 5 o'clock and everything will be
3 solved; but having two days where we can get
4 people in a room without ex parte rules and hear
5 what their issues are with the markets; what
6 they're going for, might do something to promote a
7 solution and build a record for the new FERC,
8 which is what we're trying to do is line these
9 things up.

10 Just a last thing I'll mention really
11 quickly because it's so du jour is the executive
12 order, the Energy Independence Executive Order
13 yesterday. We have not fully digested what it
14 means for FERC, but our focus is on the change to
15 the CEQ rule on pricing greenhouse gases in NEPA
16 because we had been working on the old one that
17 came out in August, now we have a new one; and
18 we'll be, obviously, looking very closely at that.
19 I think the general trajectory toward gas and
20 renewables will continue, because it's being
21 driven a lot by economics and technology; but
22 we'll be looking at the Executive Order like all

1 the other parts of government.

2 And with that, I will take your
3 questions.

4 CHAIR. TIERNEY: Thank you, Madam
5 Chairman, for the second time. I think you are
6 the only one who has ever been it twice.

7 MS. LAFLEUR: Apparently, I am.

8 CHAIR. TIERNEY: And your shoulders are
9 really showing that.

10 MS. LAFLEUR: I know. I'm like the
11 movie that is like it sometimes gets to be best
12 picture because it's everyone's second choice.
13 You know, there's a pay -- people who want one
14 movie really a lot, but then there's that one that
15 everyone kind of likes -- I'm that movie.

16 CHAIR. TIERNEY: That's great. All
17 right. I'm sure that there will be cards. Let's
18 start with Jeff, then Heather, then Nancy, then
19 Jim. I'm going to put myself in the cue. Okay.

20 MR. MORRIS: Commissioner, thanks for
21 joining us today; Representative Jeff Morris from
22 Washington State. I'm not going to ask about

1 particular, I think, things that you probably
2 can't comment on; but I asked this question
3 yesterday. I'm concerned about a construct that's
4 just starting to get off the ground with some of
5 the aggregation rules that are really, you know,
6 aggregating distributive resources up to the
7 HV-side of the system, and my concern is that the
8 way the construct's going for states that don't
9 have a distribution balancing DER process, like
10 New York and California are pursuing, that you are
11 going to see all the DERs with value have those
12 values stripped from the distribution side and
13 taken up to the high-voltage side of the system
14 for interstate commerce purposes; meanwhile the
15 states are left with only the DERs that costs
16 ratepayers, holding the bag. So, do you have any
17 general thoughts about that because if we don't
18 resolve this upfront, there'll be lots of
19 litigation on jurisdiction probably on the
20 backend?

21 MS. LAFLEUR: Well, my general thought
22 is that the last sentence is right; that we should

1 resolve it upfront. I think, you know, we have
2 this very complicated ecosystem of federal and
3 state authority to regulate electricity in this
4 country.

5 From a point of view of economic
6 optimization, the -- whether it's a solar roof or
7 whatever other battery should be contributing
8 wherever it contributes the most to value for the
9 customer in the system, which may be -- I mean, I
10 could make an argument, certain things if you
11 deploy them over a broader -- for example in
12 California where they have so much solar that
13 they're, you know, have abundance in the daytime,
14 than having a broader region to trade over might
15 help as we've seen with the energy and balance
16 market -- and so, sometimes going bigger might be
17 better for customers.

18 On the other hand, there might be, even
19 in New York, where you mention New York where
20 there are things that NYSERDA is developing or
21 subsidizing that are helping on specific
22 distribution lines like the thing in Brooklyn or

1 the Bronx, or wherever it is where they're
2 deferring a substation with a specific
3 development. So, in a perfect world, we could
4 somehow make sure that there is enough
5 communication to figure out things are paid at the
6 right level.

7 At a minimum, we can try not to double
8 pay or, you know -- so perfect rationality where
9 everything is optimized might be the ideal, but
10 not making it worst should be a doable thing --
11 and, I think, that's why we need to think through
12 how we do it. Just as we shouldn't say,
13 everything goes wholesale, you know, nothing has
14 value at a distribution level, that's wrong; but
15 to say, hey, these are on the distribution side of
16 the system; therefore, hey, that's a first name,
17 they must have more value there. That might not
18 be true. It might be that, for example -- I mean,
19 if you believe that everybody's going to plug in
20 their car batteries and it's going to collectively
21 be some big giant battery like pumped storage --
22 that might have more value over broader areas.

1 So, I think, we need to figure that out.

2 CHAIR TIERNEY: Thanks, and who did I
3 say next? Did I say Nancy?

4 MS. LAFLEUR: I thought you said
5 Heather, but I didn't --

6 CHIEF TIERNEY: Heather, you're next.

7 MS. LAFLEUR: Here's the lady figuring
8 it out.

9 MS. SANDERS: Yeah; good to see you
10 again. I appreciate all that you're doing and the
11 opportunity you provide for a lot of stakeholders
12 to weigh in; so, keep it up; and you're not my
13 second favorite, you're my first favorite.

14 Anyway, mine is really simple. For
15 interconnection, does it also apply to the
16 Wholesale Distribution Access Tariffs, as well?

17 MS. LAFLEUR: Could you repeat that?

18 MS. SANDERS: So, for interconnection;
19 there's transmission interconnection rules; but
20 there's also interconnection governed by FERC for
21 Wholesale Distribution Access Tariffs. So,
22 connected to distribution voltages --

1 MS. LAFLEUR: Yes.

2 MS. SANDERS: -- participating in the
3 wholesale markets. It's really, really, really,
4 needed and really, really important. Just ask
5 Janice. So, just something to look into because
6 --

7 MS. LAFLEUR: Absolutely.

8 MS. SANDERS: -- transmission
9 interconnected voltages really, you know, that's
10 not what we're seeing the challenges in; it's the
11 Wholesale Distribution Access Tariffs, and then
12 the treatment in between, you know, the
13 jurisdiction of the states. So, our Rule 21
14 versus the wholesale distribution access tariff if
15 you want to participate in the wholesale market.
16 So, that's going to be a really tricky one in the
17 future as we connect more things behind the meter,
18 and then stack the values of storage. So, we,
19 right now, don't allow any state jurisdictional
20 interconnections to participate in the wholesale
21 market. That's why we need movement on the
22 Wholesale Distribution Access Tariffs, in general.

1 MS. LAFLEUR: Yeah. Well, I will take
2 that as more of a comment or question. I think
3 it's different in different places. So,
4 California, where you're obviously from, and the
5 midcontinent, so already have cluster
6 interconnection. I don't want to say they've
7 entirely cracked the code, but they have a lot of
8 what we're requiring the others to do. New
9 England, for example, has had substantial problems
10 interconnecting wind in Maine, and the tension
11 lines there are kind of -- where does the
12 transmission system end, and interconnection
13 start; how do you reconcile that; so, it's not
14 solved at a transmission level everywhere.

15 But your second generation problem of
16 what about the wholesale distribution assets, I
17 think, just as was just commented, is more of the
18 future, and it's not easy to solve because you
19 just can't sit in 888 First Street; it's so
20 related to the multiple states. I guess, I think
21 it would be -- if I had to say what I think, would
22 be optimal -- would be if a couple states step

1 forward and we figured it out; and so, I think,
2 California has seemed to have raised its hand and,
3 maybe New York, to sort of crack this code rather
4 than trying to do it everywhere at once.

5 CHAIR TIERNEY: Next, Nancy, I think.

6 MS. PFUND: Thanks for a terrific
7 summary. This is another kind of California-based
8 question on the data activity that you described.
9 In California, we participated in a paper on data
10 transparency and access that the tech industry,
11 and the solar, and Tesla -- kind of all were
12 involved in -- and it kind of catalyzed the
13 legislature to start writing some bills that
14 really open up the data for the reasons that you
15 described; and, also, kind of set aside frequently
16 made points about national security risks, and all
17 of that; so, really, trying to promote more
18 innovation by making the data more freely
19 available. That's really the tech industry's
20 approach is that we'll get better products and
21 services. And so there are two bills that are
22 kind of making their way through the legislature,

1 and Nancy Skinner -- one of the folks that's
2 written one -- has a pretty good track record in
3 terms of getting these through. So, how do you
4 see -- so you may have, you know, the nation's
5 largest state with the most amount of DER, you
6 know, kind of already doing this -- how do you see
7 that unfolding?

8 MS. LAFLEUR: Well, it's a complicated
9 question and, obviously, I was just -- I read half
10 an article in the Washington Post this morning on
11 this new rule that Internet providers can release
12 your data of where you looked on the web and all;
13 so, it's a bigger rule than just electricity. I
14 think at the state level, when I used to be in a
15 distribution company, a lot of the data rules were
16 around customer privacy and customer identifying
17 information, and so forth, and making sure that's
18 protected; making sure that if we are going to
19 figure out, you know, where the duck is fattest or
20 something, we do it in a way that's anonymized to
21 customers so that we don't violate customer
22 protection.

1 What we deal with at FERC is more two
2 other kinds of confidentiality issues. One is the
3 national security, people trying to do harm to the
4 grid; and that one, at a very straightforward
5 level, it's very easy. You say, well, of course,
6 nobody should be allowed to see something they
7 could use to plan a terror attack. Isn't that
8 obvious? But if you have scientist who are trying
9 to get information on how the grid is operating in
10 order to, themselves, figure out how to do
11 something better for the grid, how do we package
12 the data in a way that they can get it, is a
13 substantial issue that I hear about as I go
14 around; and, I think, that we need to figure out a
15 way to protect what we need to protect while still
16 being able to use the data to make things better;
17 and I don't think we've figured it out yet.

18 And the third is commercially-sensitive
19 data, which we get a lot of, and it's hard for us,
20 I think -- I'm not going to lie, there's been
21 times I read things and I thought this really
22 isn't commercially-sensitive, but you can't just

1 use a gut test. It's hard to counterman a company
2 that's saying that it is; and, I think, the
3 general trajectory is toward more sharing of data
4 and more figuring out how to anonymize things so
5 we can learn from it and make more databased
6 decisions; but because of the different types of
7 things we're trying to protect, I don't think
8 we've cracked the code.

9 My worry is, I mean, you seem like a
10 troglodyte if you say don't take the data if you
11 don't know what you're going to do with it; but
12 sometimes I do feel like a troglodyte because if
13 I'm going to have data, I want to understand how
14 we can use it; is it in the record. You're
15 sitting next to Mr. Ball who had a case that
16 raised an issue of data analysis that we had done
17 and sort of pushed the envelope on how do we share
18 it with the company, and so forth.

19 MS. PFUND: Thank you.

20 CHAIR TIERNEY: Jim?

21 MR. LAZAR: (Inaudible) I'm going to
22 follow up on exactly the same topic, so that's

1 good. I'm Jim Lazar. I'm an economist. I work
2 with Regulatory Assistance Project. My first rate
3 cases were in the 1970s. At that time, all power
4 contracts were available for discovery without any
5 limitation. At that time, the FERC Form 1
6 required the utility to list every wholesale
7 transaction that they had; what was the point of
8 delivery; how much power was delivered; and what
9 was the price?

10 As an economist, markets need that kind
11 of information to be efficient. I'm curious what
12 ability FERC has to help return us to the
13 transparency that we used to have. The New York
14 Stock Exchange is a pretty transparent market. I
15 don't know who bought 100 shares of Microsoft for
16 \$25.00 at 2 in the afternoon; but I know that some
17 transaction occurred between a willing seller and
18 a willing buyer at that time, at that price; and
19 that makes for a very transparent market.

20 The ISOs do a nice job publishing
21 transparency of market clearing prices down to
22 notable prices on (inaudible) intervals, but that

1 doesn't help us with people who are trying to
2 negotiate bilateral contracts as, particularly, a
3 problem for smaller utilities that don't have the
4 kind of market power that the larger utilities
5 have. So, what's the ability to restore the
6 transparency of the bilateral contracts?

7 MS. LAFLEUR: Well, that's a great
8 question, so let's look at, in my mind at least,
9 what are the, you know, break points at which
10 transparency was lost. One was the introduction
11 of competition. So, I mean, it used to be you'd
12 go to EEI and they were so much more worried
13 about, you know, don't share information because
14 of antitrust -- because it was one big happy
15 family and everybody had their protected monopoly.
16 Now you have people competing with each other to
17 do things all around the country and, I think,
18 they're worrying more of what will people share.
19 Although, I mean, I don't speak for --

20 MR. LAZAR: But in order to compete,
21 people need information. Markets to thrive on
22 perfect information.

1 MS. LEFLEUR: -- and so the question is
2 -- and then the second big driver was 911 when,
3 that's when the confidential energy information,
4 whatever the CEII, the Confidential Energy
5 Infrastructure Information -- ACSAR came out of
6 that -- the thought of more sabotage of the grid;
7 how do we protect that. I think one thing that we
8 need to do is -- starting with the latter -- do
9 the best job we can making our best decisions on
10 what should be confidential and what shouldn't.
11 So, I'll just give two examples that I don't
12 believe either of them are currently pending. One
13 is these people who are the companies that are now
14 want to have a national kind of repository of
15 transformers to share among themselves. We had
16 people on the docket saying the location of that
17 inventory should be a matter of public record so
18 we can go audit it; and, I mean, that one to me
19 was -- I was persuaded that there was a security
20 issue if you were having this sharing of
21 transformers for security reasons and not knowing
22 where the field was where they were stored.

1 On the other hand, in our geo-magnetic
2 disturbance final rule, we had people saying the
3 ground conductivity underneath different parts of
4 the country, and the monitoring of the
5 geo-magnetic current and different things, could
6 be confidential; and when we asked why, they said,
7 well, if you got enough of it together you could
8 figure out where the big substations were. I was
9 like, well, couldn't you just drive and figure out
10 where the big substations were? So, I mean, we
11 ultimately, said we'll entertain requests, but we
12 start with the supposition that just knowing where
13 the ground is, how the ground works, and where the
14 currents flow, is not per se confidential;
15 although we'll entertain requests if somebody can
16 explain it to us. So, those are kind of two ends
17 of the spectrum, and we're really just trying to
18 navigate our way through on the security front.

19 On the other front, I think the answer
20 is in more analytics; finding ways to anonymize
21 things; during more like the ISOs do; we're adding
22 work at the Commission to kind of look at some of

1 our data and understand kind of what's the pool we
2 have; how do we store it; and how can we help.
3 It's not going to be the baby boomers who figure
4 it out because its somehow in the IT that the
5 answer is, I think. I'm sorry that doesn't mean
6 no baby boomers. If any of you are computer
7 experts, God love you; but, in my experience, it's
8 not us.

9 MR. CENTOLELLA: Thank you, Cheryl, for
10 being here and it's a pleasure to see you; and I
11 appreciate the fact that you're holding the fort.
12 I guess my question is about how FERC thinks about
13 the development of distributed resources and its
14 implications for markets. So, you've quite,
15 justifiably, paid lots of attention to pricing on
16 the generation side of the energy and ancillary
17 service markets. These were markets that we
18 developed after Order 2000 to deal with congestion
19 on a transmission gridline. What we had to deal
20 with it was the dispatch of large generators. We
21 now see a range of distributed resources both, you
22 know, responsive demand and distributed generators

1 and storage coming up on the distribution grid who
2 are largely seeing and responding either directly
3 or through their retail supplier to the
4 implications of prices on the load side of those
5 markets.

6 Those load prices, however, are not
7 nodal or interval prices by and large, their, at
8 best, zonal and hourly averages, and in some
9 places they're not even that because the load is
10 priced or allocated based on some historical
11 customer- class load curve that may not even
12 reflect current class usage. I'm wondering where
13 is FERC in terms of looking at this issue; what
14 kinds of information are you, you know, having in
15 front of you; and how do you think about that
16 going forward?

17 CHAIR TIERNEY: Good luck with that one.

18 MS. LAFLEUR: We probably haven't
19 thought about it in the way that you presented it,
20 enough. So, I would say, serving on FERC 7 years,
21 the first 4-1/2 or so, we were battling more
22 foundational things about demand response --

1 should it even be allowed to be wholesale -- major
2 battles between the people whose livings depended
3 on the greater deployment of traditional resources
4 and people who wanted to pay the demand response
5 resources; whether FERC should even be doing
6 anything; and what are the gross rules, not the
7 very refined rules of how you price it. I'm sure
8 there are people who think -- I know, I'm not just
9 sure -- there are people who think we should even
10 re-look at that and go back before Order 745 and
11 how we priced DR, I would not be among them. You
12 know, if I could go into a time tunnel, there
13 might be things we could do better, but having won
14 at the Supreme Court, I would say, at least I
15 would lead it. Now, what is FERC 2.0 going to do,
16 I don't know. We had one recently departed FERC
17 Commissioner who put out a lot of separate
18 statements about overpaying DR, and there could be
19 -- actually two somewhat recently departed -- so,
20 we'll see.

21 On storage -- and if you want to say
22 other non, so that's like demand -- not feeding

1 the grid, but lowering demand, but on resources
2 that can actually feed in, like batteries or
3 rooftop solar were even earlier in that, and I
4 would say in the December rule -- whatever it was,
5 December or January -- back where we were in
6 demand response in 2010, sort of kicking off the
7 first issue of is it even FERC; what is FERC doing
8 here; and, if so, all the other questions that
9 follow from that.

10 I hope we can learn from the four year
11 DR battle and not repeat that battle every time a
12 new thing comes along, and maybe figure out a way
13 to do it with buy-in from the states, or whatever,
14 so that we can go more quickly; because,
15 otherwise, I think we're leaving a lot of value on
16 the table. But, I mean, I hope this doesn't
17 become political with the new FERC; but I don't
18 see into other people's brains. I'm lucky if I
19 can see into my own.

20 MS. SILBERSTEIN: (Inaudible).

21 CHAIR TIERNEY: Nicely put, Pam.

22 MS. SILBERSTEIN: Your list of the

1 things that are on your two-person plate left me
2 breathless; so, with some trepidation --

3 MS. LAFLEUR: You know, we're not
4 allowed to eat though, we just can kind of like
5 put them on the plate, and make the buffet; so, it
6 reduces the temptation a little bit.

7 MS. SILBERSTEIN: Right; but I think
8 that's temporary. I guess we all assume it's
9 temporary. So, with some trepidation, I'm just
10 going to add one more thing. I just wanted to
11 share with you something that my colleagues and I
12 have been hearing from our members in the markets,
13 which I call gas electric coordination 2.0; and
14 what a lot of our members, but certainly other
15 market participants are experiencing is just new
16 demands on gas-fired generators as a result of the
17 much greater level of intermittent resources in
18 the markets; and that just leads to new
19 requirements from pipelines -- well, I guess, the
20 whole pipeline or the gas supply chain -- and that
21 was a difficult, also, couple of years; but, I
22 think, there are a lot of gas-fired generation

1 owners, plants, participants that would be
2 interested in seeing that revisited because the
3 needs for our flexibility and coordination between
4 these industries are as, you know, potent as they
5 have ever been.

6 MS. LAFLEUR: Well, thank you for that
7 comment. I mean the, I'm not eager to step back
8 into trying to change the gas day, but I know who
9 I'm going to get to run the NASB Committee if I
10 do. But in terms of pipelines offering more
11 services, more strategic use of storage, I think
12 there's a lot there. I mean, we're using gas
13 differently and it's too hard to build out the
14 pipeline network to just build it out so prolixly
15 that there's enough for everyone all the time, you
16 don't have to plan anything. So, I do think
17 there's more. I agree with you that there's more
18 work to be done.

19 We are seeing some of the -- because we
20 had recently some staff work on what different
21 tariffs see; how the different pipeline schedule,
22 what kind of computerized scheduling they use --

1 it's not like a single platform; and what sorts of
2 services the different pipelines -- and it's quite
3 different between pipelines, and then the ones
4 that offer a lot of different services. Spectre
5 comes to mind as one that's really been out there
6 offering different, rather than just like take it,
7 I forget what it's all called, take it a 1/24th
8 every hour weigh more shaping services. How much
9 are they? What's the trajectory of how much
10 they're being utilized, who's taking them; but
11 there's more to happen in this area, and it ties a
12 little bit to Paula's question because gas isn't
13 our only tool. So, if you need to ramp up, we'll
14 say the document, though that's a simplification
15 -- but from lows ups and downs, gas isn't the only
16 thing we have and how do you somehow coordinate
17 those. That's a big issue.

18 CHAIR TIERNEY: So, Pam took one of my
19 questions as you might guess; so, that's great,
20 but the other question I have is to ask you to
21 actually, you know, imagine you're the brainiac
22 that you are with very big wide vision, and long

1 vision of what's happening in the industry, and
2 one of the things that I think arises as a result
3 of these state actions to enter into markets and
4 require a long-term contracts for various pieces,
5 that fact combined with the fact that more and
6 more of the resources coming into the market are
7 actually quite capital intensive, very low energy
8 costs. So, you can imagine that many of them need
9 contracts to enter the market, and often utility
10 balance sheets are being used for that purpose,
11 either willingly or on a mandatory basis.

12 I can just imagine a possibility in
13 which we just march inexorably toward more and
14 more contracts, even in a centralized market. So,
15 does that fact mean that in the states where
16 there're -- and I'm thinking of MISO, New England
17 PJM especially, where their resource adequacy has
18 not been kept at the states, where it has been in
19 the capacity markets. Whether they're just more
20 likely to migrate to a MISO model or a California
21 model where it's either through bilateral
22 contracting or through the state saying we're out

1 of this market totally, just officially. I mean,
2 is that where we're heading, or not; and I realize
3 this probably occurs maybe after you get to take
4 off your FERC shoulder pads; but, anyway, I'd be
5 interested in hearing your thoughts.

6 MS. LAFLEUR: I think that we're at a
7 really critical point right now; because, I think,
8 the jury is still out on whether we have the
9 political will to set up a competitive market
10 design that will produce the new resources that we
11 want. I just recently asked for a piece of work
12 to be done on -- like the resources that are in
13 the market -- how many of them were there before,
14 and how many came into the market; and when the
15 ones that came into the market, did they respond
16 to a price signal or, you know, where did the
17 resources come from; because we haven't yet, as
18 everyone knows, transition, we don't have a set of
19 resources; that's all post restructuring. We have
20 legacy resources too.

21 CHAIR TIERNEY: That's a great analysis;
22 that's good.

1 MS. LAFLEUR: I think something will be
2 lost if we just default to not using the market
3 for resource adequacy at all because I think a
4 kind of hodgepodge of political decisions is going
5 to be driven by much more short-term political
6 objectives when we're building long-lived assets;
7 and I hope there are regions that have enough
8 sticking power like, maybe New England, that they
9 can figure this out and pull together as a region.

10 But, I think -- if you think of all the
11 things that people are trying to do outside the
12 market. There're at least two different
13 categories. One is people want new resources that
14 the market isn't providing; and the second is
15 people are worried about existing resources that
16 exists and they don't like what the market is
17 doing to them.

18 Just turning to the second for a minute,
19 this is big picture, post my time at FERC, you
20 know, the problems that the nukes are having with
21 the gas being too cheap is just the tip of the
22 iceberg. Eventually, we already see in California

1 the gas plants are having problems because there's
2 so much solar you can't make money on gas, and
3 pretty soon if you get enough renewables, they
4 cannibalize themselves because there's so much of
5 that; and so, big picture, I think, if we truly
6 are marching toward a clean future where we're
7 changing over a lot of the resources -- and I know
8 I'm not smart enough to plan it, but I hope I can
9 say it -- we might need to move to some kind of
10 non-volume metric way we pay things.

11 We used to think -- like telephony you
12 paid by the minute, like before 6 and 7 o'clock,
13 long distance cost this much; after 7 o'clock it
14 cost this much, it was just taken for granted, and
15 now we don't pay telephony by the minute; and
16 maybe, if you have gas plant and you still need it
17 for when the sun goes down in California and you
18 need that gas plant, it's not going to make it up
19 on volume because the duck is going to get fatter.
20 Someone came in my office the other day -- had an
21 argument with someone -- they said the duck was
22 pregnant. And, so, well ducks don't get pregnant;

1 ducks have eggs. So, please don't let the
2 pregnant duck be the new thing that everyone in
3 electricity talks about because I just can't
4 handle it.

5 But anyway, but if the duck gets fatter
6 -- not because of pregnancy -- but just because of
7 fatness, then, you know, there won't be enough
8 volume. So, the concept -- we made this up that
9 you pay everything by volume, that's not the only
10 way you can pay things. And I just think that
11 might not be the long-term future. So, before we
12 start subsidizing maybe we just need to step back
13 and say what is it that we need that thing to do,
14 and let's pay for that.

15 I mean, I say this to people, maybe it's
16 the new ancillary service type thing, and
17 everybody says, oh, yes, yes, yes, that's very
18 brilliant Commissioner. Let's now talk about the
19 capacity market and my fight next month. But, I
20 mean, someone has to be thinking of not the fight
21 next month but kind of long term. I'm not sure
22 the whole way we think of electricity pricing when

1 you have fewer and fewer of the megawatts being
2 generated by a fossil that you pay by volume, that
3 it should be done by volume; and somehow it's
4 because of that -- it ties to why you need the
5 contract, I think.

6 CHAIR TIERNEY: Yes.

7 MS. LAFLEUR: Yes. So, that's my
8 brainiac answer. Don't ask me to figure it out.
9 Rate design was never my thing; I don't know how
10 to do it.

11 CHAIR TIERNEY: Well, my guess is you
12 will hear a lot on this topic at your upcoming
13 technical conference. Thank you so much for
14 joining us. This was extremely, (Applause)
15 extremely insightful; and we hope that the two
16 FERC Commissioners just keep being fine, and
17 healthy, and staying, and moving the ball forward.
18 Thank you so much, Cheryl.

19 MS. LAFLEUR: Thank you.

20 CHAIR TIERNEY: I know that we have one
21 more presentation to give, which is the one from
22 Merwin, about storage. We are going to break at

1 12:30. We have been going for a very long time.
2 If people do need to take breaks on their own,
3 please do; but I feel like we should keep going so
4 that we don't end up pushing things at the end of
5 the time frame.

6 Thank you, Madam Chair.

7 MS. LAFLEUR: Thank you.

8 CHAIR TIERNEY: Merwin, you're up.

9 MR. BROWN: Okay; I'm Merwin Brown,
10 Chairperson of the Energy Storage Subcommittee,
11 and what I'm going to report on are mostly the
12 future activities and plans -- of course, that's
13 what a plan is, it's the future -- that I want to
14 talk about here, and if there's any reaction, or
15 feedback, or guidance from this Committee, I think
16 I'll appreciate it.

17 So, the plans for roughly the next two
18 years of this historic Subcommittee is, one, we
19 have an activity underway now to develop a work
20 product related to a high penetration of energy
21 storage work -- again, maybe for the new people
22 here, it's what I call what happens if the dog

1 catches the bus; in other words, what would a very
2 high penetration of energy storage mean for the
3 electric grid both in terms of opportunities and
4 in terms of challenges. In some ways, this idea
5 came about in sort of copying what has been done
6 in the renewable energy area of trying to forecast
7 what the impact might be with high penetration of
8 renewable generation.

9 An update on this -- well, first of all,
10 let me just tell you what I'm going to cover -- I
11 guess not, I'm going to cover it now. We've been
12 working on this now for, I don't know how long, a
13 couple of years I guess, or maybe approaching that
14 -- it's been a very challenging effort to work on.
15 We've taken a scenario-planning approach to this.
16 We have developed the scenarios and have done some
17 analysis of those scenarios, such as what have we
18 learned out of those, but we're not happy with the
19 results yet. So, we're continuing to work on
20 that, and following this meeting, immediately, and
21 going over into tomorrow morning, we hope to put
22 this to rest, that we finally come up with

1 something that we feel that we can report back to
2 you that has some value. So, that's where we are.
3 If that happens, we might have a report ready for
4 the June EAC. However, when you think about it,
5 that's actually not a lot of time. There's really
6 only about two months of work time between now and
7 then because the next EAC meeting is kind of early
8 in June and, so, it doesn't give us a lot of time.
9 But, that's our plans going forward so far, and so
10 we, at least, I put in there, we'll finish in
11 2017, probably that's pretty assured; I hope.

12 Now, I'm going to talk about some
13 proposed and scheduled new work products and I've
14 labeled them in this way, proposed and scheduled,
15 because they're kind of a mix. They're still
16 being formulated so they're somewhat proposed; but
17 we're far enough along on some of these that, for
18 all practical purposes, I think they're going to
19 happen, unless you change my mind at this moment
20 here.

21 One of them I want to talk about is the
22 thermal storage, as it's labeled here. What this

1 effort is really a follow-on to a change that we
2 made at the Energy Storage Subcommittee -- I think
3 it was, it was when we did the two- year review
4 and the five-year plan -- which was, in the past,
5 we focused on electricity in and electricity out
6 energy storage from a grid perspective; and a
7 number of players along the way, a number of
8 Committee members, have pointed out that's not the
9 only form of energy storage that can impact the
10 grid one way or the other; and they're right. So,
11 in that period of putting together that five-year
12 plan, etc., we expanded the scope to include
13 energy storage. I'll use the rough definition,
14 whatever impacts the electric grid in one way or
15 another, that is what we'll look at.

16 But the first kind of an obvious one we
17 want to look at is the thermal storage and get a
18 handle on defining what that means. What are the
19 opportunities and challenges? And Ake Almgren has
20 agreed to handle that effort for us; so, I think,
21 this one is going to go ahead, and we're going to
22 get this done. So, that's one of them.

1 Another one has come about. In a number
2 of past EAC reports of various kinds we keep
3 coming up with this issue -- and it's been
4 mentioned in this meeting, this particular
5 convening of this EAC -- is that energy storage
6 represent some challenges in the traditional way
7 of doing rates, tariffs, market designs,
8 regulatory designs, etc., and how it ends up
9 getting deplored. So, there are great arguments
10 that go back and forth about it. Should you be
11 allowed to put energy storage in as a rate base;
12 or, no, that gives certain market power; so, no,
13 it should be in a pure competitive market, but,
14 no, that doesn't really allow energy storage to
15 realize it's full value at least under current
16 market designs. But the industry has gone ahead.
17 It's already putting in devices and etc., and it's
18 being done in different ways. And, so, the
19 purpose of this project is to look to see what we
20 can find out that is being done in different
21 areas.

22 We know California has taken one

1 approach to this, for example, through a mandate.
2 It says it'll just do it. What has that done;
3 what does it mean, etc.? So, Ramteen Sioshansi
4 has agreed to take on that lead, and Tom Sloan,
5 who is a past member of this Committee, I believe
6 has agreed and volunteered to help out, because
7 this was something he had a passion for when he
8 was on this EAC and has done a lot of thinking on
9 this. So, I'm fairly sure this one will probably
10 go ahead as a work product.

11 And, then, a third one is the energy
12 storage in the modernized electric grid security.
13 I'm going to cover this a little later because it
14 is fairly complex. I have slides for all of
15 these, and I've been covering them with just this
16 summary slide, but this one I want to wait until I
17 get to the slide because it's a bit more complex.
18 But it is a work product that we're planning on
19 going through with here focused around the role of
20 energy storage in security and resiliency in the
21 electric grid.

22 And then one that we really don't have a

1 choice on, but it's looming large again, is in
2 2018, we need to have produced another biennial
3 storage assessment. In other words, a two-year
4 review of DOE's energy storage work; and so, the
5 date that we must shoot for is the EAC meeting
6 that probably will be held in September of 2018,
7 and that really isn't that far off in terms of
8 what it takes to put these together. So, that's
9 what's on our plate coming up.

10 Let me just go into a little more
11 detail. I probably already covered this and so I
12 may go on -- that's the energy thermal storage
13 look. So, I'll be repeating what I just said.
14 But the status right now is the scope is pretty
15 well defined. There's something in writing that
16 defines what it is this product is going to be
17 looking at; and in the area of the second one, the
18 rate tariff and regulatory design for energy
19 storage lessons learned, this is really going to
20 be looking at, as I said, a survey of current
21 practices and proposals in this area and, then, if
22 any recommendations of further work come out of

1 this that we can pass along to DOE, that would be
2 a product of this effort.

3 The one I held off until -- and I wish
4 Janice was here; where did she go to. This is --
5 Janice Lin's agreed to take on this particular
6 one. In past work product and others elsewhere
7 around the world, energy storage is identified as
8 an element of interest, as a special asset class
9 for modernizing the electric grid, and in peeling
10 the onion layer more deeply here, the energy
11 storage assessment proposes to examine the
12 potential role for energy storage provide backup
13 resiliency and reliability services when the grid
14 is down.

15 While I've also been able to participate
16 in ordinary grid operation services -- which is
17 what it's been looked for -- the point is here we
18 keep seeing references, energy storage must have a
19 role in resiliency and things like that. What we
20 don't feel it's been well thought out as to what
21 that means. Just what are we talking about when
22 we say that has a role for energy storage? The

1 other thing that's happening here is that it's
2 beginning to happen. In some cases, energy
3 storage is being deployed for these kinds of
4 purposes. So, what we want to do is learn from
5 that and confuse ourselves at a higher level on
6 what it means to use energy storage as a
7 resiliency security backup device in the grid.

8 So, Janice has put together a very
9 lengthy and well- documented proposal to describe
10 what we want to do here, and what our end result
11 is; and I hope I summarized it in this third
12 bullet, which is the core of the activity of what
13 we want to do is to conduct a facilitated
14 discussion-oriented session with invited expert
15 speakers along with industry, academic, public
16 sector participants -- for example from the
17 Department of Energy; from the Department of
18 Homeland Security, and other federal agencies, and
19 that's not an exhaustive list, probably -- the
20 idea is this session would be conducted as part of
21 a regular DOE/EAC meeting; and we'd take the
22 majority of one the days; and right now, we

1 propose the second day for the June 2017 meeting,
2 because we do have a sense of a bit of urgency
3 here to get this meeting going and get it done
4 because of things going on with changes in DOE
5 energy strategies, R&D funding, and this kind of
6 thing.

7 In some ways this is nothing special.
8 We'll have panels and we'll have discussions.
9 Maybe what is special, a couple of things; one,
10 we're proposing, based on an agenda that's been
11 put together by Janice, it is going to take the
12 one whole day -- whatever you want to call that.
13 We're proposing going in to around 3 o'clock in
14 the afternoon on that second day, which, by the
15 way, in case of those who are here are new --
16 meaning in the last couple of years -- where we
17 always quit around noon -- we used to go until
18 a.m. in these meetings, so this is
19 actually just going back --

20 CHAIR TIERNEY: P.m. You said a.m.

21 MR. BROWN: Did I? Okay. Thank you for
22 telling me what I meant; 3 p.m.; yes, good point.

1 The other thing that will be somewhat different
2 from our conventional meetings is that usually the
3 panel members come up, give their presentation,
4 then the EAC members ask questions or tell them
5 things that they thought the panel might want to
6 know. But what we're going to do in this case, is
7 allow for a more free-flowing of discussing in
8 which panel members, themselves, and other invited
9 guests, if you will or experts into this thing,
10 will be able to discuss with one another; ask one
11 another questions; and, therefore, it opens up the
12 number of communication channels that would take
13 place. So, that's really what's really different
14 here. The intent is to really get down and let
15 people think about this, and in real time advise
16 us on what this all means. From one perspective
17 -- from the people who worry about resiliency and
18 security, etc., what do they think is needed,
19 etc., out of the grid; and then from the other
20 experts who are beginning to look at, well, what
21 can energy storage do in this function. And so,
22 that's really what this is all about.

1 So, those are the three work products
2 that are -- what's the word I want to use; I can't
3 think of the word right now -- but we have the
4 flexibility to do them or not do them. So, that's
5 what I wanted to let you know.

6 Just to finish out the presentation, but
7 there's not much to say about it. The 2018 energy
8 storage assessment is looming again, and for those
9 of you who are new to this, the Energy
10 Independence and Security Act of 2007 formed the
11 Energy Storage Subcommittee as part of that law;
12 and in that law, there are two requirements of the
13 Energy Storage Subcommittee, and one of them is
14 five-year sort of forward looking plan or a
15 strategic plan that the Committee comes up with
16 for DOE's use if they so choose to do so, and the
17 other one is a two year assessment of what DOE has
18 done with their resources, etc., and any
19 recommendations that come out of this. We did the
20 five-year plan and the two-year plan in
21 conjunction last year, and it was approved at the
22 September meeting of the EAC last year; and now we

1 need to start thinking about doing the next one
2 already. So -- oh I just said that -- the 2016
3 energy storage plan, both of those requirements
4 were met then. And so, we're shooting for the
5 approval of the 2018 for September 2018.

6 So, that's it. So, if there's any
7 feedback, any reactions, to what's been proposed
8 here, fire away.

9 MS. SANDERS: Heather. Can you go back
10 to the rates one?

11 MR. BROWN: Yeah.

12 MS. SANDERS: One of the things that I
13 think may be interesting here is to, once you look
14 at the current practices and proposals, look into
15 the needed capabilities and maybe technology,
16 enabling technologies, okay? Now, let me explain
17 better. One of the things that I think limits us
18 -- and when I did the energy storage roadmap in
19 California -- when you use the stack-to-value
20 storage it's hard to separate the measurement of
21 that, right; so, do I want to use it for one use
22 this time, a different use this time. And so I

1 think a lot of times our rates and our tariffs in
2 a regulatory design are driven by the technology
3 capabilities we have; and since we're DOE, I
4 think, we need to bring that technology component
5 into this analysis. Agree? Just a suggestion,
6 but I think that would really help here.

7 MR. BROWN: I hope you're taking notes,
8 Ramteen.

9 MR. SIOSHANSI: Yeah, I totally agree.

10 MS. SANDERS: And I will volunteer to
11 help you. I'll come back to the Energy Storage
12 Subcommittee. I think this is really interesting.

13 MR. BROWN: Thank you.

14 CHAIR TIERNEY: And just to clarify.
15 Are you specifically saying that as part of
16 figuring out what you pay for, you articulate what
17 attributes you're looking for?

18 MS. SANDERS: Well, kind of what
19 capabilities of, you know, that you would need in
20 order to change the rates or -- you know, so, you
21 need smart meters in order to get --

22 CHAIR TIERNEY: I get it, okay.

1 MS. SANDERS: -- you see what I mean, or
2 you need to be able to separately measure when
3 you're using storage for regulation or local
4 demand mitigation, etc., or you don't. But I
5 think that's one of our big barriers in fully
6 utilizing energy storage is really our ability to
7 separate how you validate its response.

8 CHAIR TIERNEY: Thank you. Yes, Janice?

9 MS. LIN: Thank you, Merwin. So, on the
10 workshop that you mentioned on the next slide,
11 I've three comments. One, that part of the
12 inspiration for this was the Trump priority
13 infrastructure plan -- I don't know if you
14 mentioned that -- where storage --

15 MR. BROWN: I didn't mention it
16 explicitly. I was trying to stumble around that
17 without being too blatant; but, yes.

18 MS. LIN: -- okay; well, so the idea is
19 that the EAC could help flesh that out and inform
20 and come up with priorities and opportunities so
21 the work product -- I don't see it listed there--
22 is after the meeting, our Subcommittee will work

1 on a white paper that we'll share with all of you,
2 so that'll take care of the second point.

3 My third point is a request to all of
4 you that this kind of meeting is most successful
5 when you have the right people in the room; and
6 because it's intentionally designed to include not
7 only DOE leadership, but also some other agencies
8 in the administration. We, definitely, would like
9 help if anyone here can help identify who those
10 people are and facilitate with the invitations.
11 We're definitely outreaching broadly to get help
12 with that. So, thank you in advance, and if
13 anyone's interested to help or volunteer, please
14 let me or Merwin know.

15 Thanks.

16 MR. BROWN: Yes; thank you.

17 CHAIR TIERNEY: Are there questions or
18 comments? Merwin, thank you. You have navigated
19 a Subcommittee leadership position that really
20 does require you guys to do a lot of work. So,
21 thank you for your leadership, and for all of the
22 members of that Subcommittee, in particular.

1 Thank you.

2 MR. BROWN: Yes. I definitely want to
3 thank -- I mean, I thought it was remarkable that
4 three people came forward and said they would lead
5 these efforts. It's usually you got to take
6 someone in a back alley and work them over.

7 CHAIR TIERNEY: Break their knees.

8 MR. BROWN: That's right. It either
9 says they're extremely capable people, or
10 extremely ignorant. I know it's not the latter.

11 CHAIR TIERNEY: But, seriously, in
12 advance for all the work that you guys are doing,
13 thank you very much. That's great.

14 Any other questions? If not, then we
15 have the scheduled time in today's meeting to see
16 whether or not anyone has signed up for public
17 comment. Has anyone?

18 (No. Response)

19 CHAIR TIERNEY: Okay. Is there any
20 further comment that any member of the Committee
21 would like to make?

22 (No Response)

1 CHAIR TIERNEY: Well, if not, then let
2 me just close by saying that you guys really put a
3 lot of effort and thought into your participation
4 in this. You do a tremendous amount of planning
5 and execution to make sure that our meetings are
6 productive and constructive.

7 Most importantly, Pat, thank you very
8 much for spending time with us, all of his time
9 with us. We know with four, at least, jobs that
10 you're holding right now at the Department of
11 Energy, the fact that we got these hours of your
12 attention and care is just really wonderful. So,
13 I'm going to let you have the last word, if you'd
14 like.

15 MS. HOFFMAN: I just want to thank
16 everybody for attending. I thought it was a great
17 set of discussions on the topics, we want to
18 continue to be forward-leaning as we think about
19 what are issues coming up facing the nation,
20 facing the electric grid; and I've enjoyed the
21 conversations; so, thank you, for your
22 participation.

1 CHAIR TIERNEY: Thank you and we look
2 forward to seeing you in June.

3 MS. HOFFMAN: Thanks.

4 CHAIR TIERNEY: All right, everybody. I
5 can't believe we actually got out 10 minutes
6 early. I didn't expect that, so thank you.
7 Thanks everybody, safe travels.

8 (Whereupon, at 12:11 p.m., the
9 PROCEEDINGS were adjourned.)

10 * * * * *

11

12

13

14

15

16

17

18

19

20

21

22

1 CERTIFICATE OF NOTARY PUBLIC

2 COMMONWEALTH OF VIRGINIA

3 I, Carleton J. Anderson, III, notary
4 public in and for the Commonwealth of Virginia, do
5 hereby certify that the forgoing PROCEEDING was
6 duly recorded and thereafter reduced to print under
7 my direction; that the witnesses were sworn to tell
8 the truth under penalty of perjury; that said
9 transcript is a true record of the testimony given
10 by witnesses; that I am neither counsel for,
11 related to, nor employed by any of the parties to
12 the action in which this proceeding was called;
13 and, furthermore, that I am not a relative or
14 employee of any attorney or counsel employed by the
15 parties hereto, nor financially or otherwise
16 interested in the outcome of this action.

17

18 (Signature and Seal on File)

19 Notary Public, in and for the Commonwealth of
20 Virginia

21 My Commission Expires: November 30, 2020

22 Notary Public Number 351998

